

1
2 FORMER LAKE ONTARIO ORDNANCE WORKS SITE
3 DEFENSE ENVIRONMENTAL RESTORATION PROGRAM FOR
4 FORMERLY USED DEFENSE SITES

5
6 PUBLIC PARTICIPATION THROUGH
7 RESTORATION ADVISORY BOARDS

8
9 LEWISTON/PORTER, NEW YORK

10 JUNE 23, 2010

11 -----
12 Minutes of Public Meeting held at the
13 Lewiston Senior Center, Youngstown, New York
14 on Wednesday, June 23rd, 2010 commencing at
15 6:00 p.m.

16
17 **APPEARANCES :**

18 VINCENT AGNELLO, Porter, NY

19 MICHELLE BARKER, Regional Technical Specialist

20 AARON BESECKER, Buffalo News

21 KENNETH R. BLUSCH, Youngstown, NY

22 W. BOECK, Lewiston, NY

23 CHUCK BOOS, Lewiston, NY

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

APPEARANCES CONTINUED:

STEVE BOUSQUET, Environmental Health Section
Team Leader

JOHN BUSSE, Program Manager for LOOW/NFSS

RON CHURCH, USACE LRD

DANIEL CISZEK, on behalf of Congresswoman
Louise Slaughter

DAVID CORATS, S. Falls, Wisconsin

DON DEMARCO, geologist

JAMES DEVALD, Lockport, NY

TERRY DUFFY, Lewport Sentinel

BILL FREDERICK, Environmental Projects Team
Leader

DAVE FROTHINGHAM, Environmental Engineering
Section Team Leader,

BOB GIANNETTI, Lewiston, NY

PAUL GIARDINA, EPA

KENT JOHNSON, Albany, NY

BILL KOWALEWSKI, Special Projects Branch Chief

ARLEEN KREUSCH, Outreach Team

KAREN KEIL, Risk Assessor

D.J. LANGLOIS, Lewiston, NY

NICK MATTERA, Niagara Gazette

NONA MCQUAY, Lockport, NY

KEVIN MYERS, Lewiston, NY

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

APPEARANCES CONTINUED:

LAURA MONTE, Buffalo, NY
JOSEPH NASCA, Lewiston, NY
BILL NOWAK, on behalf of State Senator
Antoine Thompson
MEGAN PELKA, Court Reporter
JANE RICHARDSON, Youngstown, NY
ANN ROBERTS, community member
GERANT ROBERTS, community member
MARY ANN ROLLAND, Youngstown, NY
CHRIS ROSER, Lewiston, NY
BRUCE SANDERS, Chief of Public Affairs
BILL SCOVILLE, Shaw Group
PATRICIA SCREMIN, Niagara Falls, NY
HANK SPECTOR, Health Physicist
MICK SENUS, Lake Ontario Ordnance Works
Program Manager
JIM STACHOWSKI, LOOW Project Engineer
JANE STATEN, NFSS Project Engineer
SIDNEY WALTON, JR, Lewiston, NY
NATALIE WATSON, Outreach Team
BOB WELLER, Lew-Port School Board
AMY WITRYOL, Lewiston, NY
TERRY YONKER, Youngstown, NY

1 MS. KREUSCH: Good evening, everyone. If
2 you could please take your seat. Make sure
3 you have a handout package before you sit
4 down. Good evening, again. My name is Arleen
5 Kreusch. I'm the Outreach Program Specialist
6 for the Special Projects Branch Environmental
7 Project Team for FUSRAP and FUDS.

8 For tonight's meeting, I have a few
9 operating principals to go over with you
10 before we get started, but I want to tell you
11 about the bathrooms are on my right, your
12 left. The emergency exits are in the back of
13 the room, there's two and then, there's one by
14 the door that you came in and if you could
15 please turn off your cell phones, please
16 listen respectfully, please hold questions or
17 comments until the poster session or the
18 workshop discussion.

19 I will now introduce John Busse, the
20 Program Manager for the Niagara Falls Storage
21 Site and the Lake Ontario Ordnance Works.

22 MR. BUSSE: She already introduced me, so
23 I don't think I have to introduce myself

1 again, but I'd like to introduce the team if I
2 could. We've got Jane Staten, she's the
3 Project Engineer for Niagara Falls Storage
4 Site; Michelle Barker, she's the Regional
5 Technical Specialist at the Corps; Natalie
6 Watson, she's part of Outreach Team with
7 Arleen; Jim Stachowski, he'll be the new
8 Project Engineer for the Lake Ontario Ordnance
9 Works; Mick Senus, he's the Project Manager
10 for the LOOW Project; we've got Bill
11 Kowaleski, he's the Chief of the Special
12 Projects Branch; also have Paul Giardina from
13 the USEPA; Mr. Frederick, Bill Frederick over
14 there, he' the Environmental Project
15 Management Team Leader; we've got Steve
16 Bousquet, Environmental Health Team Leader,
17 Karen Keil, our Risk Assessor, Hank Spector,
18 our Health Physicist back there.

19 MR. SPECTOR: No one ever introduced me
20 before.

21 MR. BUSSE: Yes. Somebody had to. I
22 think that's everybody, right? Did I miss
23 anybody? I think we got everybody outnumbered

1 again, so I'll get started. If you could hit
2 the next slide.

3 Kind of going to walk you through the
4 Building 401 dismantlement and we're calling
5 is dismantlement because that's basically what
6 we're doing more so than an actual demolition,
7 then we'll get into the remedial investigation
8 feasibility study updates and also what's next
9 in Niagara Falls Storage Site and then, we'll
10 break into that where Mick Senus will pick up
11 and he'll do the Lewiston-Porter School
12 Property sampling update as well as a further
13 update on the LOOW project which was requested
14 by the community and Paul Giardina will close
15 it out with a presentation.

16 Also like to mention we did receive a
17 request from the community to add a discussion
18 of transparency to the agenda. If the
19 community wants to discuss this topic, we can
20 approach that subject during the discussion
21 portion of tonight's activities.

22 Next slide. Okay. So, I'm going to walk
23 you through a brief history of Building 401

1 State's Historic Officer requirements and
2 brief overview of the demolition or
3 dismantling of Building 401.

4 Next slide. I know many of you are
5 probably familiar with the site but for those
6 who are not, I'm just going to go through a
7 real brief history of Building 401. This is
8 1944 photograph. You can see Building 401 is
9 annotated there. NFSS as everyone probably
10 knows is located at 1397 Pletcher Road in
11 Lewiston, New York. The site is owned by the
12 Federal Government.

13 The site consists of an engineered, ten-
14 acre Interim Waste Containment Structure,
15 various buildings and open areas. It was
16 originally part of the LOOW site and the
17 primary use of the site from the early 40's to
18 mid-50's was for storage of radioactive waste
19 from various sources. Building 401 was
20 initially the powerhouse for the production of
21 TNT at the former LOOW and it was also used to
22 store radioactive materials in support of
23 Manhattan Engineering District activities

1 during World War II.

2 Additionally, it was used for the product
3 of Boron-10 from 1953 to 1959 and from 1965 to
4 1971 and then subsequently thereafter became a
5 storage facility used by the Atomic Energy
6 Commission and Department of Energy. In 1971,
7 Building 401 was gutted and it's
8 instrumentation, equipment and hardware were
9 disposed of as surplus materials.

10 The building has been largely inactive
11 since, primarily occupied by animals,
12 raccoons, turkey vultures, et cetera. In '95
13 through '97, Building 401 went through a
14 decontamination effort as well as a
15 comprehensive survey and sampling and in the
16 Summer of 2002, an asbestos abatement was
17 performed on the interior of the structure.

18 Next slide. State Historic Preservation
19 Office. Building 401 was determined eligible
20 by the New York State Preservation Office for
21 listing in a national register of historic
22 places. You've got a couple pictures there
23 showing the dilapidated structure of the

1 building. It was agreed upon between the
2 Corps and the SHPO that Building 401 currently
3 poses a safety hazard to site workers and to
4 Corps' and other agency personnel.

5 Additionally, although Building 401 is
6 currently structurally stable, the interior
7 and state of the building, localized areas of
8 contamination and its location on an active
9 FUSRAP site warrant demolition of building and
10 not re-use or rehabilitation, so in accordance
11 with Section 106 of the National Preservation
12 Act, the Corps and the State Historical
13 Preservation Officer entered into a memorandum
14 of agreement on March 1st, 2010.

15 And in consultation with the SHPO, the
16 Corps will document Building 401 through
17 Historic American Building Survey/Historic
18 American Engineering Record Level II which is
19 shown on the slide and that's a mouthful to
20 say, photographic documentation and
21 accompanying narrative in accordance with the
22 Secretary of the Interior's guidelines for
23 architectural and engineering documentation

1 will be developed for this building.

2 Basically, three sets of black and white
3 photographs, one set of negatives will record
4 the interior and exterior of the building as
5 well as document the history of this building,
6 especially as it related to the war effort in
7 World War II. We'll also prepare a time-
8 lapsed video which will show how the building
9 was demo'ed. We'll present that and post it
10 on our website for everyone to see and
11 finally, we'll include a historic
12 interpretation of Building 401 through plaques
13 and markers and we'll post that on the website
14 for everyone.

15 Next. I'm going to walk you through the
16 demolition of Building 401 quickly, hopefully
17 briefly and I won't put you to sleep. The
18 photographs here show the interior of Building
19 401 on the left and the northeast corner of
20 the exterior of the building there.
21 Presently, this contract to demolish or
22 dismantle Building 401 was awarded to
23 Terranear and Energy Solutions which is a

1 joint venture and we basically refer to them
2 as TES.

3 They have subcontracted to a local
4 subcontractor called DEMCO who has been
5 responsible for dismantling or demolishing the
6 Memorial Auditorium, Yankee Stadium as well as
7 several DOE facilities. They're a local
8 company. We're using stimulus funds to get
9 this work completed and as a result, using a
10 local firm was definitely advantageous to us,
11 so we're happy that TES selected them to be --
12 as their subcontractor.

13 The services required under the scope of
14 work involved characterization, demolition,
15 packaging and disposal of Building 401 in
16 accordance with applicable local, state and
17 Federal regulatory requirements. There will
18 be removal, abatement precautions to control
19 waste streams such as bird and animal waste
20 which is prevalent throughout the building.
21 There's potential asbestos in the transite
22 paneling on the exterior of the building.
23 There's lead-based paint obviously on the

1 interior surfaces within the interior of the
2 building, there's miscellaneous debris,
3 there's contaminated structural elements and
4 concrete including the sumps and drains which
5 will be pumped, characterized and then, filled
6 prior to any demolition occurring.

7 TES is currently preparing the work plans.
8 We hope to be able to release those to the
9 community some time towards the end of July
10 for your input prior to them getting on the
11 site. The work plans that they're going to
12 prepare include the site operations plan,
13 there will be a demolition plan, a site safety
14 health plan, waste management transportation
15 and disposal plan and engineering and
16 structural survey and I think I touched on
17 them all.

18 Mobilization will be completed some time
19 toward the end of August at which time TES and
20 their subcontractor will begin the pre-
21 demolition activities. Pre-demolition work
22 will be comprised of the following activities:
23 They'll do an asbestos survey of the exterior

1 and selected interior areas, establishment of
2 debris stockpile areas, radiological survey of
3 work areas and building contents, of course,
4 plugging of drains and sumps after removal of
5 liquids which I already mentioned, inventory
6 of hazardous materials within the building,
7 development of drawings showing all the
8 utilities and waste profile sheets for all
9 waste streams.

10 Additional pre-demolition activities
11 will include quantification and identification
12 of hazardous materials including lead, light
13 ballast, mercury, sodium vapor lights,
14 capacitors and thermostats which will all be
15 removed prior to demolition as well as the
16 windows. They'll treat the bird and animal
17 waste, they'll remove the potential ACM
18 material whether it's in the interior or
19 exterior, wrapping it in 6 mm poly and
20 disposing of it accordingly. There will be a
21 comprehensive survey, radiological survey of
22 the interior of the building and the exterior
23 of the building and also, I'd like to mention

1 the soils around Building 401 will be covered
2 with geotextile fabric and stone to prevent
3 migration or impact to any soils surrounding
4 the work area.

5 Next. Then, we'll get to the demolition.
6 The photograph shown on here is the project
7 that we did at Linde FUSRAP site. We
8 basically dismantled the building. We're
9 going to follow the same procedure at 401. It
10 worked there. It should work very well here.
11 TES will complete the demolition of Building
12 401 and the attached silos by the end of the
13 calendar year is when it's currently scheduled
14 to be

15 Concrete floor slab will main. TES does
16 intend on recycling the majority of steel
17 within this building, but in order for them to
18 recycle any materials in this State as well as
19 dispose of any materials in a landfill within
20 the State, they have to radiologically survey
21 each of the debris or the steel and verify
22 that it's at background conditions in order to
23 comply with six NYCRR Part 380 and part 360

1 requirements. Have I got that right, Steve?

2 Thus, control measures will also be
3 implemented to prevent the spread of
4 contamination and maintain particular level of
5 permissible exposure level specified in OSHA
6 regulations. The dust control program will
7 consist of both dust suppression measures and
8 ambient air monitoring to verify the success
9 of the dust suppression.

10 Air monitors will be at all four
11 quadrants, north, south, east and west and
12 will be on continuously. We'll also wet the
13 demolition equipment and active demolition
14 areas, cover waste debris, hauling waste
15 debris in covered or closed containers, keep
16 vehicle speeds low and apply a water spray
17 during debris handling and to unpaved vehicle
18 access routes as necessary.

19 All waste water will be diverted and
20 contained. There will be berms set up around
21 the demolition. Basically, we don't want
22 anything getting out of the box here.
23 Basically and kind of as the pictures show,

1 DEMCO is basically -- what they're going to do
2 is they're going to start at the top. Once
3 they have the complete building characterized
4 so they know where all the waste streams are
5 going to go, they're going to segregate it
6 after they pull it down.

7 They're going to start at the top and
8 they're going to work their way to the bottom
9 to set up piles, radiological here, PCB's
10 here, VOC's there and then, they'll transport
11 it to an according facility. At the
12 completion of the construction, they'll
13 perform surveys, radiological surveys both at
14 the slab area as well as at least 15 meters
15 outside of any work areas to verify that
16 nothing gets out of the box. They'll
17 demobilize all equipment from the site, clean
18 up the site as necessary and they're going to
19 provide a final report documenting demolition
20 activities including sample and survey results
21 which we'll make available to the public.

22 And next slide, we'll kind of walk through
23 the schedule. Basically, this is the current

1 schedule. The way it stands, work plans we
2 anticipate getting to the community by late
3 July 2010. They're going to mobilize probably
4 more towards late August 2010, conduct a pre-
5 demolition activity as shown there. They'll
6 go through the removal and abatement of the
7 miscellaneous waste. This includes the ACM,
8 anything they find, light ballast, et cetera.

9 Demolition will start late October and
10 proceed through December and then, they'll
11 complete the post-demolition activities and
12 the surveys early December through mid-January
13 2011 with a final project report provided by
14 March 2011.

15 At this time, I'd like to introduce
16 Michelle Barker and she'll provide you with an
17 update on the Niagara Falls Storage Site
18 Remedial Investigation.

19 MS. BARKER: All right. Thanks, John. As
20 John said, my name is Michelle Barker and I'll
21 be providing an update tonight on the Remedial
22 Investigation and Feasibility Study for the
23 Niagara Falls Storage Site.

1 Next slide. The goal of the Remedial
2 Investigation that was conducted on Niagara
3 Falls Storage Site between 1999 and 2003 was
4 to define the nature and extent of the
5 radiological and chemical contamination
6 resulting from the historic Manhattan Engineer
7 District and Atomic Energy Commission
8 operations and to evaluate potential risks to
9 human health and the environment.

10 As discussed at the public meeting last
11 June, findings from the Niagara Falls Storage
12 Site are highlighted on this slide. After the
13 Remedial Investigation Report for the Niagara
14 Falls Storage Site was published in December
15 2007, the Corps received 335 comments. In
16 2009, the Corps conducted additional field
17 work to prepare an addendum to the RI address
18 data gaps and these comments.

19 The Corps is concurrently preparing
20 documentation in support of the Feasibility
21 Study for the Interim Waste Containment
22 Structure to examine a variety of options to
23 address the potential long-term risks

1 associated with the cell.

2 To ensure the protectiveness of human
3 health and the environment in the interim, the
4 Corps is committed to maintaining the site
5 operation an Environmental Surveillance
6 Program on the site.

7 Next slide. The majority of the 334
8 comments received from the public on the
9 Remedial Investigation Report can be
10 categorized into five areas of interest that
11 you can see on the slide. This presentation
12 will generally discuss each of these topics
13 and how they will be addressed in the Remedial
14 Investigation addendum which is currently
15 under development and is scheduled for public
16 release by the end of this calendar year.

17 The first topic of interest in the
18 Remedial Investigation Addendum is the
19 potential sources of groundwater contamination
20 near the Interim Waste Containment Structure.
21 The concern with groundwater contamination
22 near the IWCS boundary is the ability to
23 distinguish whether the IWCS is performing as

1 designed.

2 The left figure is actually figure 2-3 in
3 a Chemical Characterization Report prepared by
4 Bechtel National in December of 1991. In this
5 report, Bechtel highlights "areas of known
6 contamination" in 1981 prior to the
7 construction of the cell which closely
8 resembles total uranium contamination in
9 groundwater measured over 25 years later to
10 the right.

11 The Final Report on the Comprehensive
12 Characterization and Hazard Assessment of the
13 DOE conducted by Bechtel in June of 1981
14 states "The area (referring to the R-10 area
15 highlighted in the figure to your left) has
16 been fairly unstable, eroding east to the
17 Central Drainage Ditch and eroding west onto
18 the area west of the site into the West Ditch.
19 Also, this area is underlain by one or more
20 saturated zones, creating the potential for
21 subsurface migration to off-site areas."

22 The most likely source of groundwater
23 contamination near the IWCS is historic

1 leaching from the R-10 pile prior to the
2 construction of the IWCS. The R-10 pile was
3 open to the elements from 1946 through 1982.
4 That's for over 36 years.

5 The R-10 pile now is located inside the
6 Waste Containment Structure along with the
7 other wastes and residues, however, current
8 groundwater contamination near the IWCS
9 demonstrated by the figure on the right
10 closely mimics the documented location of
11 contamination in 1981, the figure on the left,
12 prior to the construction of the IWCS.

13 The Corps is committed to closely
14 monitoring groundwater contamination near the
15 IWCS as part of the ongoing Environmental
16 Surveillance program.

17 One data gap identified during the
18 remedial investigation was the potential for
19 groundwater contaminants to migrate off-site.
20 Highlighted in this slide are general areas of
21 interests with the greatest potential for off-
22 site groundwater migration which were
23 identified at the public workshop last June.

1 The primary groundwater contaminants having
2 the greatest potential for off-site migration
3 was uranium, however, chemical contamination
4 also had the potential to migrate off-site in
5 the rightmost area highlighted.

6 To address this data gap during the
7 Remedial Investigation Addendum work, 23
8 temporary wells identified in blue were
9 installed. Of these 23 wells, 10 wells where
10 are identified in red were made permanent
11 based on initial findings such as quick
12 turnaround analytical results from the
13 laboratory and radiological and chemical
14 screening and the rest were sampled and
15 closed.

16 Preliminary results based on a single
17 sampling of them indicate that uranium
18 contamination in groundwater exists off-site,
19 but only slightly above the U.S. EPA Safe
20 Drinking Water Act standard. The Corps is
21 assessing which of these newly installed wells
22 should be incorporated into the Environmental
23 Surveillance Program for monitoring to ensure

1 the protection of human health and the
2 environment during this investigation.

3 Next slide. The third topic of interest
4 for the Remedial Investigation Addendum was
5 the potential for contaminated groundwater to
6 enter ditches on Niagara Falls Storage Site.
7 To address this comment in the RIR addendum,
8 the following approaches were taken.

9 Uranium in surface water from the West
10 Drainage Ditch were compared to uranium in
11 nearby groundwater wells to determine if a
12 pattern existed which may infer a connection
13 between the surface water in the ditch and
14 groundwater. It did not appear that there was
15 this connection.

16 Secondly, groundwater modeling was
17 conducted to simulate groundwater entering the
18 ditches in order to estimate the level of
19 contaminated surface water that would result
20 from this and thirdly, in 2008, the Corps
21 enhanced the Environmental Surveillance
22 program at Niagara Falls by increasing the
23 frequency of collection of surface water and

1 sediment in the ditches from annual to
2 biannual, the number of sample locations from
3 seven to ten and the parameters sampled for to
4 include metals, organic chemicals in addition
5 to the radionuclide and water quality
6 parameters.

7 Currently, there are four surface water
8 and sediment locations sampled in this Central
9 Drainage Ditch on Niagara Falls Storage Site,
10 three in the West Drainage Ditch and remaining
11 three in east-west ditches that feed the
12 Central Drainage Ditch. To date, uranium is
13 found above background in surface water in the
14 West Ditch during the RI sampling cannot be
15 replicated.

16 In other words, uranium in surface water
17 in the ditch as part of the Environmental
18 Surveillance Program remain comparable to
19 background after several rounds. Regardless,
20 the Corps is committed to closely monitoring
21 surface water and sediment in ditches as part
22 of the ongoing Environmental Surveillance
23 program.

1 One concern raised in the Niagara Falls
2 Storage Site Remedial Investigation Report is
3 the potential impact for former LOOW
4 subsurface utilities on the integrity of the
5 Waste Containment Structure. The original
6 purpose of these 1940's era pipelines was to
7 support the former LOOW freshwater treatment
8 plant.

9 As shown on the photos in this slide, when
10 the IWCS was constructed in 1980's, the United
11 States Department of Energy excavated around
12 buildings that now house radioactive residue
13 to the native confining clay layer and
14 surrounded the waste with compact clay cutoff
15 walls. The purpose of the cutoff wall was to
16 inhibit groundwater from entering or leaving
17 the Waste Containment Structure

18 The process of constructing the cutoff
19 wall -- in the process of constructing the
20 cutoff wall, the USDOE severed and removed and
21 filled subsurface lines as shown in this
22 figure to the right. The following weights of
23 evidence on the integrity of the waste

1 containment structure were discussed either in
2 the Remedial Investigation Report or will be
3 discussed in the Remedial Investigation
4 Addendum.

5 The first is the routine sampling,
6 monitoring and maintenance of the IWCS cap.
7 Biannual sampling of contaminants in the
8 groundwater near the IWCS is part of the
9 ongoing Environmental Surveillance Program.
10 The groundwater modeling of potential
11 transport of contaminants from the Interim
12 Waste Containment Structure, assuming no
13 protective cutoff wall, which demonstrated
14 protectiveness for 160 years. Limited
15 migration of contaminants due to the naturally
16 confining clay on-site. A geophysical survey
17 in areas north of Building 411 in the -- in
18 the IWCS indicate no short-term competency
19 issues such as fractures, depressions,
20 potential voids and caverns that may impact
21 IWCS integrity. The topographic survey which
22 measures elevations of the ground compared to
23 1991 as-built elevations, so we compared the

1 1991 as-builts to the 2009 elevations of the
2 cell to determine if settling had occurred
3 over the past 20 year that would compromise
4 the integrity. Negligible settling was
5 evident. The Corps is committed to closely
6 monitoring the cell as part of the
7 Environmental Surveillance Program to ensure
8 the protection of human health and the
9 environment which is the Corps' number one
10 mission.

11 And lastly, the potential for plutonium
12 and fission products on the Niagara Falls
13 Storage Site and adjacent properties was
14 raised as a public comment during the review
15 of the Niagara Falls Storage Site Remedial
16 Investigation Report.

17 Between 1952 and 1954, spent fuel rods,
18 reactor waste and combustible material from
19 the Knolls Atomic Power Lab in Schenectady,
20 New York animal remains and medical debris
21 from radiological inhalation tests on animals
22 at the University of Rochester in Rochester,
23 New York were sent to the LOOW. In the later

1 1950's the majority of the KAPL waste stream
2 was shipped off the LOOW site to be buried at
3 the Oak Ridge National Laboratory in
4 Tennessee.

5 To address this concern in the RIR
6 Addendum, the plutonium data set was
7 supplemented with 17 additional soil samples
8 and 54 soil samples of drummed RI waste from
9 dedicated locations that were analyzed to
10 ensure a greater level of coverage throughout
11 the site. Cesium levels in soil posed
12 unacceptable risk in the RI and would be
13 evaluated further in the balance of plant
14 feasibility study.

15 Cesium found above background in
16 groundwater during the remedial investigation,
17 although below drinking water standard could
18 not be replicated during the Remedial
19 Investigation addendum. It is assumed that
20 the detections of cesium in groundwater during
21 the RI may have been a function of turbidity
22 and not representative of the actual
23 concentration available to groundwater at the

1 site.

2 The Corps will continue to consider the
3 potential for plutonium and fission products
4 on the Niagara Falls Storage Site, however,
5 our current focus for the feasibility study
6 will be on the Interim Waste Containment
7 Structure. Thank you for your time and I'd
8 like to now introduce a new member of our
9 Corps team, Jane Staten. She's the Niagara
10 Falls Storage Site Project Engineer.

11 MS. STATEN: Thank you, Michelle. I have
12 just a short presentation. What's next? As
13 you know, Michelle explained that the Corps is
14 currently preparing the Addendum to the
15 Remedial Investigation Report which will be
16 available for public comment by the end of
17 this calendar year.

18 Concurrently, the Corps will begin
19 preparing the Feasibility Study for the
20 Interim Waste Containment Structure which
21 Michelle also talked about. The public will
22 be given the opportunity to review and comment
23 as we progress through the development of the

1 feasibility study. The Corps will first
2 release a fact sheet describing the objectives
3 of each Technical Memorandum and ask for
4 public input on these objectives. The Corps
5 will consider the comments received and then
6 develop and release each Technical Memorandum.

7 The public will again be provided an
8 opportunity to comment on each Technical
9 Memorandum. Responses to public comments will
10 be posted on the project's website and
11 comments will be considered in the development
12 of the Feasibility Study.

13 The first of these fact sheets is in your
14 handout package and outlines the objectives of
15 the Radon Assessment Technical Memorandum.
16 Public comment is requested by July 23rd,
17 2010, so about a month. Throughout the
18 process, the Corps will continue to maintain
19 the site, to monitor the air, sediment and
20 water at this site and to issue the findings
21 of the monitoring in the annual report.

22 Now, I'd like to introduce Mick Senus who
23 will present the Lewiston Porter property

1 sampling.

2 MR. SENUS: Thank you, Jane. Good
3 evening. My name is Mick Senus. I'm the
4 Project Manager for the former Lake Ontario
5 Ordnance Works as many of you know as the LOOW
6 site. The Corps is working in conjunction
7 with the Lewiston-Porter School Board and
8 their environmental consultant, Joe Gardella.
9 We've developed a sampling strategy, within
10 the Corps authorities, to address concerns
11 regarding any potential impacts from the
12 former activities of the DoD or Department of
13 Defense, Manhattan Engineering District and
14 the Atomic Energy Commission on school
15 property.

16 I am here this evening to present that
17 strategy. On this slide, the Lewiston-Porter
18 School campus is. Located in the undeveloped
19 portion of the former LOOW. The green shaded
20 area in this figure is the former LOOW site.
21 The outline of the campus is show on this
22 figure along Creek Road on the left-hand side.
23 Niagara Falls Storage Site is located

1 within the developed area of the former LOOW
2 and is shown here in a dashed line in the
3 central portion of the map.

4 The Corps is performing ongoing
5 investigations for LOOW under the Defense
6 Environmental Restoration Program for Formerly
7 Used Defense Sites or FUDS. The Corps
8 investigations for the Niagara Falls Storage
9 Site or NFSS are performed under the Formerly
10 Utilized Sites Remedial Action Program,
11 otherwise known as FUSRAP.

12 In other words, FUDS investigates
13 potential chemical impacts from former DoD
14 activities at LOOW and FUSRAP determines
15 potential radiological impacts from the former
16 Manhattan Engineer District or MED and the
17 Atomic Energy Commission, AEC activities at
18 the NFSS.

19 In August of 2009, the Corps and Lewiston-
20 Porter School Board met and discussed data
21 gaps and previous sampling analyses conducted
22 at school property. As a result, the Corps
23 performed a data gap analysis and developed

1 the proposed sampling strategy to address
2 concerns regarding any potential impacts from
3 former DoD, MED or AEC activities on the
4 Lewiston-Porter School property.

5 Due to funding constraints, the Corps has
6 historically investigated LOOW in phases.
7 Recently, the Corps developed a Management
8 Action Plan which organizes and presents the
9 summary of the Corps' strategy for completing
10 and closing the LOOW site as parcel groups
11 that meet the definition of FUDS under DoD
12 DERP.

13 Now that the Management Action Plan is
14 available, the Corps plans to close out
15 environmental concerns with respect to past
16 DoD activity by starting with sites with the
17 least potential for environmental impact.
18 Historical sampling and results from previous
19 investigations have identified Lewiston-Porter
20 School area as one of those least impacted
21 sites. However, the Corps acknowledges that
22 this site is publicly accessible so a sampling
23 effort will be conducted within the bounds of

1 our authority under FUDS and FUSRAP.

2 Upon completion of this sampling effort,
3 we will have collected sufficient data to
4 conclude whether the school property has been
5 impacted by past DoD activities. This slide
6 on the screen outlines recent history of our
7 partnering efforts with Lewiston-Porter
8 School.

9 The yellow border outlines the study area
10 for Lewiston-Port School property. The
11 Lewiston-Porter campus building and Creek Road
12 are located on the western portion of this
13 map. The north arrows at the top right corner
14 of the map, straight orange line that bisects
15 the map from southeast to northwest is what we
16 call the Southwest Drainage Ditch as it flows
17 into Four Mile Creek to the north.

18 The first part of the sampling strategy
19 involves investigating soil disturbances that
20 occurred during the time that the DoD owned
21 the school property which was from 1942 until
22 to 1945. In 1944, the soil disturbances
23 identified during historical aerial photo

1 analysis performed by Corps are overlain in
2 orange on this 2005 photo of the school
3 property. The features identified during the
4 analysis included ditches, depressions,
5 mounded material, trenches and pits. Upon
6 further analysis and within our authority, the
7 Corps plans to investigate the soil
8 disturbances on the undeveloped portion of the
9 property that are the most suspicious.

10 These locations are shown in red on the
11 figure and include mounded materials not
12 adjacent to the ditch, trenches or pits. The
13 Southwest Drainage Ditch will be also
14 investigated. I'll discuss that in a moment.

15 The Corps will be using GPS or Global
16 Positioning System to locate each of these
17 targeted disturbances. Next, brush will be
18 cleared as necessary to provide access to the
19 locations. The Corps intends to access the
20 majority of the locations by the Occidental
21 property from the east and will clear the
22 brush with mechanical equipment.

23 Hand clearing will be performed when it is

1 necessary to access a location from the school
2 campus.

3 Once brush clearing is completed, the
4 Corps will inspect each location in order to
5 determine if the soil disturbance still
6 exists, estimate the size of the feature and
7 determine if anything else in the immediate
8 vicinity of the historical disturbance
9 warrants further investigation.

10 Depending on the size of the disturbance,
11 one to four soil borings will be performed to
12 a maximum depth of ten feet below the ground's
13 surface. The soil borings will be performed
14 with a direct push technology to obtain
15 continuous soil samples. This equipment is
16 mechanized and pushes the samplers through the
17 subsurface.

18 For locations accessed from the campus,
19 soil borings will be performed utilizing hand
20 augers. All soil samples will be inspected
21 for evidence of potential impact including
22 staining, discoloration and odors. The
23 samples will be field screened with an organic

1 vapor monitoring device that detects
2 presidents -- presence of VOC's or Volatile
3 Organic Compounds. Field test kits will be
4 used to verify that explosives are not
5 present. Finally, the samples will be
6 screened with radiological field instruments
7 for health and safety purposes.

8 Depending on the size of the soil
9 disturbances, field observations and screening
10 results, one to four surface soil samples and
11 one to four subsurface soil samples will be
12 submitted for lab analysis for each
13 disturbance location. Sample intervals will
14 be biased towards potential impacts that have
15 been observed or detected.

16 The lab analysis includes volatile organic
17 compounds or VOC's, semi-volatile organic
18 compounds or SVOC's, metals, explosives and
19 polychlorinated biphenyls, also known as
20 PCB's. If radiological measurements exceed
21 two times the established background
22 concentration for a soil sample, the sample
23 will be submitted for lab analysis of gross

1 alpha and beta, gamma emitters, plutonium,
2 thorium, uranium and radium.

3 These photos represent the terrain and
4 land features of the study area as of last
5 month when we walked the site for sample
6 locations. The lower left photo is near the
7 30-inch outfall where it bisects the Southwest
8 Drainage Ditch. The photo in the upper right-
9 hand corner is one of the soil disturbances
10 located under the grouping of trees in this
11 picture

12 The second portion of the investigation
13 focuses on the Southwest Drainage Ditch which
14 flows through the campus from south to north.
15 The ditch was constructed as part of the
16 drainage system for the former LOOW. Six
17 locations along the southwest drainage ditch
18 shown here in this figure in blue will be
19 investigated.

20 The Corps will clear brush mechanically
21 along the east side of the ditch to provide
22 access. For each location, a surface water
23 sample will be collected using a pump.

1 Additionally, a hand auger would be driven
2 manually into the center of the ditch for
3 collection of sediment and subsurface soil to
4 a maximum depth of four feet below ground
5 surface. The sediment and subsurface soil
6 samples will be inspected for evidence of
7 potential impacts including staining,
8 discoloration and odors.

9 The samples will be field screened with an
10 organic vapor monitoring device that detects
11 presence for VOC's. Field test kits will be
12 used to determine the presence of explosives.
13 Finally, the samples will be screened with
14 radiological field instruments. The surface
15 water and sediment from each location will
16 then be submitted for lab analysis.

17 Analyses at the Southwest Drainage Ditch
18 also include VOC's, SVOC's, metals,
19 explosives, PCB's, plutonium, thorium,
20 uranium, radium, strontium and gamma emitters.
21 Based on field observations and field
22 screening results, one to two subsurface soils
23 samples will be selected for lab analysis from

1 each location.

2 One sample interval will be submitted for
3 chemical analysis and one for radiological
4 analysis. Sample intervals will be biased
5 towards potential impacts that have been
6 observed or detected. It is possible that the
7 soil interval for -- selected for the chemical
8 and radiological analysis will be the same.

9 On this slide, you will see some examples
10 of equipment that the Corps will utilize to
11 perform sampling at the Lew-Port School
12 property. In the upper, right-hand corner is
13 an assortment of augers, hand augers for
14 collection of soil and sediments. The other
15 two pictures were taken during the Corps
16 investigation at LOOW at the LOOW waste water
17 treatment plant performed last summer.

18 A geoprobe which utilizes direct push
19 technology to collect surface and subsurface
20 soils is depicted in the lower, left-hand
21 corner. The lower right-hand picture depicts
22 soil core undergoing field screening tests.

23 This the Lew-Port study school schedule

1 for the remainder of this year. First, the
2 Corps will prepare work plans which will be an
3 addendum to the existing plans. The existing
4 plans were developed for the investigation at
5 the waste water treatment plant last year and
6 are currently available on the Buffalo
7 District's website, the website listed below
8 on this slide. The work plan addendums are
9 expected to be complete by the end of this
10 month and will also be posted on the same
11 website.

12 The field work is scheduled to take place
13 in late July or August and data analysis and
14 validation should be complete during
15 September. A technical report will be
16 prepared that will include all field and lab
17 results along with an explanation and
18 discussion of these results. That report,
19 expected to be completed during November, will
20 also be posted electronically to the website
21 for review.

22 In conjunction with the Lew-Port School
23 field effort, our contractor will be

1 conducting supplemental sampling on the
2 Occidental property to determine the full
3 extent of impacts. Other updates on LOOW
4 include Underground Storage Tank removal or
5 UST from October 2008. This month, we
6 received DEC Region 9 no further action memo
7 regarding the post-excavation and geoprobe
8 sample, lab analysis results for the UST
9 removal.

10 The closure report and supplemental
11 closure report will be posted on the web.
12 Also, upcoming on LOOW is a records management
13 project that will catalogue more than 3,000
14 FUDS documents on LOOW. The final deliverable
15 is expected in the Spring of 2011. For the
16 Office of Economic Adjustment or OEA safety
17 project, the Town of Lewiston is currently
18 getting cost estimates for their portion of
19 the project.

20 For the archive search report, the Corps
21 is reconciling the last of the comments made
22 by the Army Corps Center of Expertise. The
23 final report is expected later on this fall.

1 And finally, the Phase IV RI is currently
2 being reviewed by the Corps and in the process
3 of providing comments back to the contractor.
4 The final Phase IV Remedial Investigation or
5 RI is expected at the end of this calendar
6 year. Thank you. I'll now turn this meeting
7 over to Paul Giardina of the USEPA.

8 MR. GIARDINA: Good evening. My name is
9 Paul Giardina and I'm Chief of the Radiation
10 and Indoor Air Branch of the United States
11 Environmental Protection Agency's Region 2
12 Office in New York. I want to thank both the
13 Buffalo District of the U.S. Army Corps of
14 Engineers and several of the community
15 stakeholders involved with the Niagara Falls
16 Storage Site for suggesting I attend and
17 inviting me to this meeting.

18 I'm here to very briefly explain EPA's
19 role in the management of the NFS Site under
20 the Formerly Utilized Sites Remedial Action
21 Program as well as our position on the various
22 issues related to this site as we see them.
23 Let me begin by saying my office has had

1 extensive and perhaps unprecedented experience
2 in radium removal and remedial clean up
3 investigations and operations.

4 By far, the two largest radium clean ups
5 to date were the radium chemical company super
6 fund removal action where our agency handled
7 the largest repository of radium used for
8 medical uses back in the 1990's. This
9 involved the removal and disposal of 120
10 curies of radium. The other radium removal to
11 which I am referring began in the mid-1980's
12 and is known as the Essex County Radium Sites
13 where EPA removed radium waste left over from
14 near turn of the century radium processing
15 operation.

16 In there, a total of 900 homes in
17 Montclare, Glen Ridge and West Orange, New
18 Jersey were remedied over a 24-year time
19 frame. So, I point to this experience with
20 pride and believe it's useful for what we face
21 today and I'd also point out that there are at
22 least three people on my staff who have
23 actually participated in these kinds of clean

1 ups for the better part of 35 years and two or
2 three others who are pretty close and I notice
3 Kent walked in from the State of New York and
4 he'd probably just say that he knew me when
5 the Dead Sea was only very sick and that's how
6 long I've been in this business, but anyway,
7 with that perspective, the NFS Site contains
8 in what is termed as the Interim Waste
9 Containment Structure or IWCS.

10 About one half of all of the world's
11 supply of processed radium and it's left over
12 from the nation's early attempts to make
13 nuclear weapons. EPA has been involved with
14 this site since the first day it was
15 designated in the FUSRAP Program when the U.S.
16 Department of Energy was the lead for the
17 program.

18 EPA has maintained and remained involved
19 since the Army Corps of Engineers took over
20 back when mandated to do so by Congress. I am
21 not going to recount the history of our site
22 involvement, but I want to point out that in
23 1986 when we met with the U.S. Department of

1 Energy, we made it clear that the agency
2 believes that the radium waste with a half-
3 life of just over 1,600 years needed
4 protection that was consistent with long-lived
5 hazards associated with this type of waste.
6 We also stated that we believed that the IWCS
7 should be subject to periodic reviews to
8 ensure its integrity.

9 Additionally, under the Clean Air Act, EPA
10 has the responsibility as a regulator to
11 ensure that the radon that can be emitted from
12 this facility does not pose a threat to human
13 health and that it meets standards.

14 Consistent with our responsibilities under the
15 National Environmental Policy Act, we also
16 need to assure that any final remedy provides
17 the same level of protection as provided by
18 other similar clean-ups and consistent with
19 Federal rules and guidance pertinent to
20 radiation protection. So, where does that
21 leave us with regard to the issues we face
22 today? I suggest the issues simply put are as
23 follows.

1 Next slide. Is the IWCS doing what it is
2 supposed to do now? If it is, will it
3 continue to do the job and for how long and
4 what should be the final disposition for the
5 IWCS waste? Let me attempt to briefly address
6 each of these issues from EPA's perspective.
7 Yes, the IWCS is doing what's it's supposed to
8 do. Radon measurements taken as part of the
9 EPA's compliance program for hazardous air
10 pollutants clearly shows the integrity of the
11 cap over the IWCS is performing such that
12 standard levels are not only met, but two
13 orders of magnitude below the level.

14 Analytical data reviewed by the EPA shows
15 that the two other major pathways for release
16 of radioactivity are waterborne release from
17 the IWCS to surface waters or are released
18 through the sides or bottom to groundwater is
19 not occurring. As such, EPA, based on its
20 review of the data, believes that the
21 radioactivity contained in the IWCS is
22 remaining there and there are no environmental
23 releases that would now threaten human health

1 or the environment.

2 Number two. Will it continue to do the
3 job and for how long? This issue is more
4 difficult because an end date for it's
5 usefulness cannot be established now. EPA
6 believes that the longer the IWCS is used for
7 storage of very large quantities of radium
8 waste, the more conservative should be the
9 yardstick with which its future performance
10 should be predicted.

11 As such, we've commented to the U.S. Army
12 Corps of Engineers that it's recommended that
13 EPA's high-level radioactive waste standards
14 of 40CFR191 be considered at least for the
15 storage of such wastes. We're also aware of
16 concerns of citizens which want there to be
17 adequate detection system for the IWCS which
18 would give early warning if the structure
19 began to fail.

20 We've received valuable input from several
21 members of the public and they have offered
22 some very constructive thoughts, which
23 included enhanced monitoring objective and I

1 have personally met and want to thank
2 Dr. William Boeck. Dr. Boeck I see has come
3 in here and Professor Joseph Gardella who is
4 not with us today for providing us with
5 technical opinions.

6 EPA has taken these and done an on-site
7 review of the situation along with the Buffalo
8 District Office. We have concluded technical
9 expertise from EPA's -- we've included
10 technical expertise from EPA's National Air
11 and Radiation and Environmental Lab in
12 Montgomery. I anticipate this effort will
13 strengthen what we already consider to be an
14 adequate monitoring system and perhaps make it
15 more accessible to the public.

16 I also want to note that today, I met with
17 the two people I mentioned before plus Ann
18 Roberts has given us a memo which we just got
19 today which we want to look at and add to that
20 and I think we've already got online to
21 schedule a conference to take those into
22 account. So, as you can see, the operative
23 words here are stay tuned.

1 Three this is maybe the \$64,000 question
2 or maybe the multi-billion dollar question.
3 The obvious and overarching question is what
4 ultimately should be done with these wastes?
5 From the beginning, EPA has been dubious about
6 any effort for disposal of these wastes on
7 this site. Our experience in dealing with
8 other matters with long-lived radioactive
9 wastes such as at Yucca Mountain tell us that
10 engineering barriers and institutional
11 controls that would be required for the
12 waste's hazardous life time are not practical.

13 Remember, this quantity of radium would
14 required controls on the order of 10,000
15 years. When you realize the United States is
16 300 years old, I think that establishes why I
17 believe the precedent for engineering controls
18 is inappropriate or reliance on them should I
19 say.

20 The U.S. Army Corps of Engineers as part
21 of its FUSRAP responsibility is doing largely
22 feasibility studies for the site and EPA has
23 been engaged by the District office on many of

1 the feasibility study issues. We discuss what
2 standards should be applied and just a week
3 ago I've been talking with Michelle exactly
4 about the high-level waste standards and we've
5 also discussed how likely as we look at these
6 standards and update them, how they may be
7 more conservative.

8 The District has frequently held
9 discussions with us for the purpose of getting
10 our experience on radium clean-ups as well as
11 issues related to environmental surveillance.
12 We'll continue to do our part and we believe
13 there's a role for all the stakeholders in
14 finally putting these wastes to rest safely in
15 a fashion that is protective with public
16 health and the environment.

17 I'd like to close with a brief remark
18 about our position on public participation
19 process for the IWCS at NFS. Mike Basile, my
20 colleague in our Western New York Public
21 Affairs Office, Mike, would you wave your
22 hand? I'm sure they know you much better than
23 they know me, not only monitors the situation

1 but attends virtually all of the meetings.
2 Mike and I truly talk constantly on these
3 matters and we at EPA rely on Mike's expertise
4 as the agency's Senior Public Affairs Expert.
5 Mike and I met earlier today with several
6 citizen stakeholders and I want to reinforce
7 our position on public participation.

8 We believe that everything that can be
9 done to encourage stakeholder participation
10 that is allowable should be done. In working
11 with stakeholders, it's clear to us they have
12 much to add to addressing the issues and
13 assuring citizens' best interests are served.

14 Additionally, in working with the Buffalo
15 District, we at EPA believe we are working
16 with a sister Federal agency with a high-
17 quality professional technical staff and
18 leadership that is focused on resolution of
19 these issues. I would challenge those
20 involved with this site, no matter what your
21 role, to channel your passions to find a
22 pathway to work together to move forward.

23 I hope our relationships with the

1 community and the Buffalo District can perhaps
2 be considered a model in this effort. Thank
3 you for inviting me and I intend now to do
4 more listening. Thanks. I don't know who I
5 am supposed to introduce.

6 MS. KREUSCH: Thank you, Paul. Ladies
7 and gentlemen, if you could now move to the
8 back of the room for the poster session
9 portion of the meeting, we will arrange the
10 front so that we can have the discussion
11 workshop. The posters for Niagara Falls
12 Storage Site are on this side of the room so
13 the Niagara Falls Storage Site team will be
14 over there. The Lake Ontario Ordnance Works
15 posters are in the back of the room, so the
16 team will be over there and then, Hank is
17 doing a demonstration of radioactive material
18 in the corner just on this side of the room in
19 the back. Thank you. And we are going to
20 move everything, so if you could pick up your
21 folders, that would be good.

22
23

(Brief recess)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

MS. KREUSCH: Before we get started with the discussion portion of this meeting, I'd like to go over the operating principals for the discussion part. First, please be courteous. Please turn off your electronics. Please listen respectfully. One person talking at a time. Please raise your hand when you want to speak. Please state your name.

We have a court recorder taking the minutes of the meeting, so we'll want to know who said what, so please state your name before you comment and give everyone a chance to comment and items we cannot address tonight will be put in the parking lot for future meetings. Is there anyone that would like to start the discussion? Ann?

MS. ROBERTS: I have a question on Building 401.

MS. KREUSCH: Okay. That was Ann Roberts for the court recorder.

MS. ROBERTS: Yes, I'm Ann Roberts. I

1 have a question on Building 401. Could we
2 just return to that slide on Building 401
3 where we had a breakdown of the use of
4 Building 401?

5 MS. KREUSCH: Do you have the number?

6 MS. ROBERTS: Yes. I have a concern about
7 the people who worked in that particular
8 building and could you just go through the
9 different uses of the building with the time
10 frames, the gentleman who gave this
11 presentation?

12 MS. KREUSCH: That would be John.

13 MS. ROBERTS: John, yes, sorry. What was
14 the time frame for radioactive storage in that
15 building?

16 MR. BUSSE: I don't have my notes in front
17 of me. '45 to '50 and then, I think it was --
18 I don't think --

19 MS. KREUSCH: Hold on a second. I'll
20 bring them over.

21 MS. ROBERTS: I think during your talk, I
22 got the impression that you said radioactive
23 storage was after the Boron-10 plant had

1 closed down?

2 MR. BUSSE: I don't want to misstate
3 myself. The 40's through the mid-50's and
4 then, the Boron-10 was '53 to '59 and from '65
5 to '71.

6 MS. ROBERTS: Right, so radioactive
7 storage, the building was used for that before
8 people actually worked in that building. In
9 other words, people could have been working in
10 a building which was radioactively
11 contaminated?

12 MR. BUSSE: I guess the potential probably
13 existed back in the 40's and 50's, so that
14 could be correct.

15 MS. ROBERTS: Well, it's not just the 40's
16 and 50's, it's really the late 50's and into
17 the 60's and 70's when the Boron plant
18 operated because the Boron plant didn't deal
19 with radioactive material, did it, it was just
20 Boron-10?

21 MR. BUSSE: Just Boron-10.

22 MS. ROBERTS: Right, but the storage of
23 material took place in the early 50's.

1 MR. BUSSE: Yes. NIOSH has done dose
2 reconstructions all the way -- they can do
3 dose reconstructions all the way through '97
4 and any information we glean from that
5 building during the demolition will be passed
6 on to them to further give them additional
7 data.

8 MS. ROBERTS: Have you managed to find
9 the -- I've been interested to know what data
10 there is on the contamination that was in that
11 building. Are we still trying to actually get
12 that information?

13 MR. BUSSE: Well, we have the Bechtel
14 report which basically summarized all the
15 surveying that was found there and --

16 MS. ROBERTS: Right, but we don't have all
17 the references that go with that and we don't
18 have the most important one which was the one
19 for Building 401.

20 MR. BUSSE: You do have the Viktus Report
21 which has --

22 MS. ROBERTS: We have the Viktus Report,
23 but we don't have all of the appendices and

1 references that go with that.

2 MR. BUSSE: With the Bechtel Report?

3 MS. ROBERTS: No, with the Viktus --

4 MR. BUSSE: The Viktus Report is pretty
5 extensive. It goes through how it outlined
6 all of Building 401, how it did the survey and
7 basically did 100 percent in the affected
8 areas and about 25 percent in the areas that
9 were unaffected --

10 MS. ROBERTS: Right. The survey that I
11 looked at said that the buildings, they were
12 not characterizing the buildings, they were
13 just doing the survey to make sure -- well, to
14 determine whether or not it could be released
15 without restriction and the small amount of
16 sampling that they did seems to be detecting
17 contamination which was not radium and
18 uranium.

19 MR. BUSSE: They detected primarily from
20 what I know was thorium-230 was the primary.
21 They had a couple instances of americium.

22 MS. ROBERTS: Yes.

23 MR. BUSSE: But thorium, I think, from my

1 knowledge is the primary driver within that
2 building.

3 MS. ROBERTS: Right. And that would have
4 come from the KAPL waste?

5 MR. BUSSE: It's a potential, sure. The
6 contractor will analyze for plutonium in this
7 building as they characterize it. It will be
8 part of their scope of work. They've been
9 notified that KAPL waste was likely stored in
10 this building and they'll have to account for
11 that.

12 MS. ROBERTS: I think there's just some
13 general concern because I really feel that
14 there isn't the communication to actually tell
15 people what the issues are. In other words,
16 we're told it's as radiologically-contaminated
17 building, but we're not really given much data
18 on that.

19 MR. BUSSE: A majority of the radiological
20 contamination has been removed. They had
21 lockers that they removed. SEC went in '96
22 and '97, removed a lot of that material.

23 MS. ROBERTS: Were these workers' lockers.

1 MR. BUSSE: I don't know exactly what the
2 lockers were used for.

3 MS. ROBERTS: But I thought -- but that
4 information has been passed to the people who
5 were dealing with workers' claims?

6 MR. BUSSE: It should have been. It's
7 been passed in NIOSH and I don't know if NIOSH
8 has this information in the Bechtel report.

9 DR. KEIL: We talked to NIOSH and they
10 have indicated to us they have all the data
11 that they need to do those reconstructions.
12 They have a special exposure cohort that
13 identified for the earlier careers for anybody
14 who's worked there. They do not have records
15 for that time period, but they had a special
16 exposure cohort that they proved that they
17 worked there, that they will be compensated if
18 they had one of the identified illness and for
19 later years, they had told us that they had
20 the data that they need to do the
21 reconstruction for the full history of the
22 Niagara Falls Storage Site. That's what NIOSH
23 has told us.

1 MS. KREUSCH: And that was Dr. Karen Keil.

2 MS. ROBERTS: Thank you.

3 MS. KREUSCH: Amy?

4 MS. WITRYOL: Just to follow up on
5 Building 401, I actually wrote a letter to
6 Commander Snead, I think, back in February
7 requesting that that information be passed
8 along to NIOSH and I didn't get a response on
9 that particular topic, so if there is any
10 documentation on the information provided to
11 NIOSH, I'd appreciate it if that could be made
12 available. With respect to the demolition
13 planned for later this year and I apologize, I
14 missed the slide presentation, but will there
15 actually be a sampling plan, you know, as part
16 of the health and safety or whatever else for
17 the building and will the RAB and the public
18 have an opportunity to look at it, you know, a
19 couple of weeks before the work starts?

20 MR. BUSSE: You will absolutely have two
21 weeks before the work -- before they even
22 mobilize to the site and work times and that
23 does include sampling and analysis plan.

1 MS. WITRYOL: Great. And we'll get one of
2 those -- probably a "News from the Corps"?

3 MS. KREUSCH: Yes.

4 MS. WITRYOL: Okay. Thank you.

5 MS. KREUSCH: Next question? Yes? I'm
6 sorry, could you state your name?

7 MR. CATALANO: Jerry Catalano. I'm going
8 back to the gentleman who talked about the
9 Lewiston-Porter School District there. One of
10 your first statements you mentioned that you
11 have some type of funding constraints. Is
12 that from state, is that from Federal? Why
13 are there constraints at the school especially
14 when it should be a top priority?

15 MR. SENUS: Yes. The funding constraints
16 were relative to LOOW in general and FUDS,
17 there's only certain money appropriated every
18 year since the history of the LOOW
19 investigation. There were funding constraints
20 obviously for Lewiston-Porter School, but I
21 was eluding to LOOW in general in that we're
22 looking at LOOW piecemeal now as part of the
23 Management Action Plan and re-prioritizing

1 those sites. The higher priority sites we'll
2 take care of first with the first available
3 funds.

4 MS. KREUSCH: Does that answer your
5 question?

6 MR. CATALANO: That's not the answer I'm
7 looking for, but I guess I have to deal with
8 the question -- with that the answer he gave
9 me.

10 MS. KREUSCH: Okay. Thank you. Bill?

11 MR. KOWALEWSKI: Can I can add to that?
12 Possibly for the school project, the sampling
13 project, the issue of impacts to the school
14 was raised, I think in late '07 or early '08
15 to the Corps through the State of New York and
16 we were able to go and get additional funding
17 specifically for the school project over and
18 above our normal allotment, if you will, or
19 budget request for the site, so we are
20 successful in bringing additional money into
21 the district to do that sampling from the FUDS
22 program.

23 MR. CATALANO: Let me follow up with that

1 real quick. When you do these studies, when
2 the Army Corps is doing the studies on the
3 labs and all the stuff like -- is there a
4 third part that goes in there and does
5 their -- do you give samples also from the
6 same samples you take and does their own
7 studies also?

8 MR. SENUS: The samples we're taken are
9 sent to -- by certified labs and there is no
10 third-party sampling at the same time, but we
11 do send split samples out and blanks out.
12 There is a chain of custody for those samples.
13 If -- I'll make it -- if it wasn't clear
14 towards the beginning of the presentation, we
15 are doing this in conjunction with Lew-Port
16 School. We are doing this in conjunction with
17 their environmental consultant and that would
18 be a third party, I think, that you're eluding
19 to.

20 MR. CATALANO: If some group, if some
21 third-party group wants to say, geez, I might
22 not trust your samples or -- you know, but I
23 want to have my own study done with the same

1 samples you're using to compare data?

2 MR. KOWALEWSKI: The Corps would have no
3 problem. We would have to consult with the
4 Lew-Port School, the property owner, but if
5 anybody wanted to splint samples with us and
6 get their own analysis done, that's fine.

7 MR. CATALANO: Thank you.

8 MR. KOWALEWSKI: And I should add that in
9 the past, the New York State DEC does do that
10 regularly as part of our investigations.

11 MS. KREUSCH: Okay. Next question? Ann?

12 MS. ROBERTS: I have a concern about the
13 Remedial Investigation Addendum. I don't know
14 if we could put the slide on that shows the
15 uranium contamination in groundwater around
16 the IWCS?

17 MS. KREUSCH: There we go. That one?

18 MS. ROBERTS: Yes, great. Thank you.
19 Looking at that particular slide, I can pick
20 out where the R-10 pile is, but I don't see
21 that that actually accounts for the very high
22 levels of uranium which is south of the IWCS.
23 I have got concerns -- in fact, I've spent a

1 lot of time looking at what data there is from
2 the environmental monitoring program and at
3 the end of the day, I've come to the
4 conclusion that the IWCS is leaking. There
5 appears to be radium showing up in the lower
6 water-bearing zone and the levels of uranium
7 south in the upper water-bearing zone to me
8 are more suggestive of leakage, rather than
9 pre-existing contamination from the R-10 pile.

10 I'm also concerned that when you show that
11 uranium contamination moving along to the
12 northeast along the pipeline that there has
13 been no investigation of the water line which
14 is, basically, the path that that thing has
15 taken. You actually show some contamination
16 in one of the sanitary sewers which then heads
17 north, but you don't follow the water line in
18 a northeasterly direction and looking at the
19 data from the RI, it seems to suggest that
20 that waterline is contaminated, that, in fact,
21 is a preferential pathway. So, I think I
22 would feel a lot happier if somebody did an
23 investigation on that pipeline.

1 MR. FREDERICK: This is Bill Frederick. I
2 can speak on the contamination --

3 MS. KREUSCH: Bill, would you go to that
4 microphone that's in the back in the center if
5 you're not going to come to one at the table?

6 MR. FREDERICK: It's Bill Frederick.
7 Actually, when -- one of the forensics things
8 that we do when we have an aerial photo
9 analysis done, it's something that we have to
10 probably get out and let the public know more
11 about and what it is, is it allowed us to kind
12 of take slides of the operations of the
13 facility over time, which is a good thing.

14 It kind of allows you to go -- have a
15 little a-ha moment along the way and one of
16 the things that we noticed around Building 409
17 at the very south end of the IWCS, was that
18 building is completely in one of the slides
19 and I'm trying to remember what the year was,
20 if it's an early-on year, like 40's through
21 50's and that building is surrounded on three
22 sides by very visible piles of material that
23 are highly coincident with a lot of the

1 groundwater impact that we see out there.

2 It is -- it's like, a real telltale sign.
3 You're looking at it going, oh my goodness,
4 look at this. So, that's one of the things
5 why I think we see the halo kind of around the
6 old Building 409 foundation is there was
7 almost like a U-shaped surrounding of the
8 building by waste materials. They had stored
9 some material out there for a period of time
10 and at some point in time, they moved them.
11 Relative to the pipeline, we have build Well
12 OW11A, Michelle?

13 MS. BARKER: B.

14 MR. FREDERICK: 11B over up in that -- I
15 guess if you want to call it that northeast
16 arm of that plume and what we did is we
17 actually used pipeline contamination to kind
18 of connect the plume with an assumption of
19 that could -- we thought at first there might
20 be some pipeline migration issues. Some of
21 the -- when we started looking at some of the
22 data, we starting thinking, well, maybe
23 they're not quite connected and so, probably

1 what the rendering we're going to have in the
2 future will be more of a plume condition in
3 the south.

4 MS. ROBERTS: But you haven't looked at
5 the waterline. You looked --

6 MR. FREDERICK: Did we take the waterline?
7 That was a pressurized line, right?

8 MS. BARKER: Yes.

9 MR. FREDERICK: And so, was there bedding
10 on that pressurized line?

11 MS. BARKER: No.

12 MR. FREDERICK: Did they take that --
13 there was no bedding on that?

14 MS. BARKER: No.

15 MR. FREDERICK: Is that one of the
16 concrete-encased ones?

17 MS. BARKER: Right.

18 MR. FREDERICK: So, concrete-encased
19 clay --

20 MS. ROBERTS: Have you excavated to look
21 at that because --

22 MR. FREDERICK: Yes --

23 MS. ROBERTS: -- because it seemed to be a

1 variety of water lines. Some actually had
2 bedding, some didn't. I think what makes me
3 suspicious is the number of samples where
4 there is contamination showing up in the wells
5 near that waterline.

6 MR. FREDERICK: I mean, we -- there was
7 also -- like, we'd have to look at things like
8 that. We have to look at things like
9 operational corridors and roads and stuff like
10 that that were used on-site. That's what we
11 were trying to do with the aerial photo
12 analysis. Why are we finding little spots
13 here and there? If we look at the these
14 waterlines and we're like, God, these
15 waterlines are really -- they're like, pipes
16 encased in concrete, like poured concrete in
17 the --

18 MS. ROBERTS: Not always.

19 MR. FREDERICK: Not always, but I think
20 the large majority is really --

21 MS. ROBERTS: Right, but looking at that
22 and the lack of investigation on that
23 waterline when you have -- I mean, you're

1 showing this as if the contamination is
2 spreading along the sewer line.

3 MR. FREDERICK: Yes. We did that
4 conservatively because that connects the dots
5 using --

6 MS. ROBERTS: Right, but you haven't
7 sampled further to the east --

8 MR. FREDERICK: -- the data from the --

9 MS. ROBERTS: -- for the leak. So, the
10 water line --

11 MR. FREDERICK: The more you take a look
12 at the data and the more you take a look at
13 the surrounding information both in the RI,
14 you're having a head-scratching moment and
15 that's okay.

16 MS. ROBERTS: No, I'm not having a head-
17 scratching moment. I am thinking that the
18 waterline is contaminated and you haven't
19 actually investigated it.

20 MR. FREDERICK: Inside the line itself?

21 MS. ROBERTS: Yes.

22 MR. FREDERICK: Did we investigate those
23 lines, Michelle?

1 MS. BARKER: You have --

2 MS. KREUSCH: Michelle, you need the mike
3 if you're going to --

4 MS. BARKER: Oh. I was just going to say
5 that we did not investigate the water line as
6 part of the remedial investigation and the
7 reason we didn't is because of use of the
8 line. We focused more on the waste lines like
9 the sanitary sewer and acid line.

10 MR. FREDERICK: Right. Because it was a
11 pressurized line and in use and everything
12 like that.

13 MS. BARKER: Right.

14 MR. FREDERICK: Is that a cap line?

15 MS. KREUSCH: Mike.

16 MS. BARKER: Sorry. So, you're talking
17 the --

18 MR. FREDERICK: The water line.

19 MS. BARKER: The 42-inch -- the intake
20 line? Is that the one you're focused on?

21 MS. ROBERTS: It would originally have
22 come from there, but it's farther on and it
23 feeds -- it feeds into that set of pipelines

1 that go north, but considering where it -- how
2 close it passes to the IWCS, I would have
3 thought that that would be a priority to look
4 at because that heads up north.

5 MS. BARKER: Right and actually, the fact
6 that the bedding material is not in a
7 preferential pathway and the use is the reason
8 it wasn't sampled --

9 MS. ROBERT: But not all of the water
10 lines -- some of them did have bedding.

11 MS. BARKER: Not on this portion of the
12 site. We focused on the red, elongated area
13 is the manholes of the sanitary sewers, so --

14 MS. ROBERTS: Right, but if you look at
15 the results that you got from the sanitary
16 sewer, then the really high spot in the
17 sanitary sewer is where it intersects with the
18 water line. The contamination there on either
19 side of it goes away. Yes, in the sanitary
20 sewer. So, the water line --

21 MR. FREDERICK: I don't find that unusual,
22 though. I mean, sewers collect that kind of
23 stuff. I mean, there's sediment in sewers --

1 MS. ROBERTS: Right, but my point is,
2 given the -- if you look at some of the wells,
3 temporary well points that you --

4 MR. FREDERICK: The good thing is that we
5 have a point up there that we're monitoring
6 that groundwater impact and when it comes down
7 to assessing our -- creating our feasibility
8 study, all of those utility lines which we
9 sampled with the in --

10 MS. ROBERT: But not the water line.
11 That's my point. You have overlooked the
12 water line and it passes right close to the
13 IWCS.

14 MR. FREDERICK: The water lines that don't
15 have surface exposures or have collection
16 points because they were on a different
17 pressurized system, the material probably
18 would not -- I wouldn't figure out a way to --

19 MS. ROBERTS: I think it's headed along
20 the water line. You think --

21 MR. FREDERICK: The water lines are quite
22 encased in a big, monolithic concrete in the
23 ground. There's no --

1 MS. ROBERTS: Right, but the wells which
2 are close to the water line are actually
3 showing contamination. So, whatever is in it
4 is migrating out.

5 MR. FREDERICK: It's close to the other
6 sanitary line.

7 MS. ROBERTS: Right, but if you look at
8 the actual results for the sanitary line --

9 MR. FREDERICK: Right, but the likelihood
10 of getting into a pressurized line, though --

11 MS. ROBERTS: I know, but I'm just telling
12 you what your data tells you.

13 MR. BOUSQUET: I guess what -- this is
14 Steve. I guess what Bill is really trying to
15 point out is that the use of the line would
16 not -- its intended use would not promote any
17 off-site migration because it was carrying --
18 it's a pressurized water line that has water,
19 clean water running into the site. So, it's
20 not like it would be a sanitary sewer or a
21 storm sewer that potentially could carry
22 material off-site.

23 MS. KREUSCH: That was Steve Bousquet for

1 the court recorder.

2 MS. ROBERTS: I can see the logic of that
3 but I think the data from the RI tells a
4 different story so, could I request that the
5 Army Corps go back and just look at the water
6 line and evaluate the data you have?

7 MR. BOUSQUET: I guess we can go back and
8 take a look at the data that we have to
9 address your concern, but I don't -- like I
10 said, from this point of view, I don't see
11 that that water line is a pathway.

12 MR. KOWALEWSKI: Ann we've got your report
13 today and I want to thank you for putting it
14 in writing giving us the report that you've
15 done and yes, the Corps will go through that
16 report and we have no problem following up
17 with a telephone call and discussing, you
18 know, our look at the data and where we might
19 go in the future.

20 MR. ROBERTS: Yes, Gerant Roberts just
21 following up on the discussion. I find it a
22 little odd that where there's some data that
23 supports a hypothesis that is argued against

1 with a hypothesis why it can't be true. I
2 think when you have a reasonable hypothesis,
3 the only way of scientifically answering that
4 is to actually do some testing, not to put a
5 counter-argument.

6 This whole process is not about point and
7 counterpoint. It's about protecting, you
8 know, the citizens of this environment. So, I
9 think you have a reasonable hypothesis that
10 your data is showing this, that while it's
11 pressurized and this, that and the other, is
12 it pressurized today? I don't know. Is there
13 a hole in the concrete, is it leaking, who
14 knows? I don't think anyone has been inside
15 that pipe to check. So, don't counter-
16 hypothesis with another hypothesis. Please
17 counter it with data that is transparent to
18 everyone.

19 MR. KOWALEWSKI: And I guess I'll just
20 close this. With the purpose of the RI is not
21 the last data collection and then, the Corps
22 walks away. It's to collect enough data to
23 conduct the feasibility study and so, what I'm

1 trying to say is, this is not the end of data
2 collection. It's not trying to put to rest
3 forever an issue. It's -- the purpose of the
4 RI was to get enough data to go into looking
5 at alternatives for cleaning up the site, not
6 to walk away and do nothing in the future.

7 MS. KREUSCH: Okay. I need to remind
8 everybody to please state your name before you
9 speak.

10 MR. FREDERICK: This is Bill Frederick
11 again. Honestly, those lines have enough
12 impact that they'll be eyeballed in the FS.

13 MS. KREUSCH: Thank you, Bill. Next
14 question. Amy?

15 MS. WITRYOL: Just adding to that topic we
16 do have residents here tonight who live along
17 a pipeline which the Town of Lewiston tied
18 into between Lower River Road and that LOOW
19 site and that was a water intake line and that
20 shouldn't have had anything but fresh water in
21 there, but the finding, when was it, back in
22 the late 70's are whenever the Town went to
23 tie into the end of that pipeline, they found

1 that there had been hazardous waste pumped
2 into it, so in this community, we're
3 particularly questioning uses of pipelines and
4 expectations what we will and won't find until
5 we actually have the hard data. Thanks.

6 MS. KREUSCH: Okay. Yes? Please state
7 your name.

8 MR. MYERS: Yes, I was going to add to the
9 --

10 MS. KREUSCH: Your name?

11 MR. MYERS: Kevin Myers. I live on
12 Pletcher Road and we're about 100 feet away
13 from that pipeline right now and it went
14 through the river to probably 401 Building for
15 cooling water and it's a big pipe, 42 inches
16 in diameter which is like, every foot would
17 have 72 square feet of volume and I guess it
18 was pressurized.

19 I'm not sure if it slopes to the river or
20 not because I assume after they
21 decommissioned, they probably dumped stuff in
22 there because back then, that happened and it
23 was left insecure -- unsecured and it was

1 probably used to dump in afterwards and I
2 think that there's a big responsibility even
3 for that illegal dumping on DoD because, you
4 know, they just walk away from that and Tim
5 from the Water Pollution Plant and Paul from
6 the EPA, they doubt there was anything dumped
7 in there dangerous because it was used for
8 uptake, but I don't think that proves
9 conclusively that it wasn't and I don't see
10 why it can't be tested and I guess they're
11 afraid if they did find something in there, it
12 would be more dangerous to open it up and to
13 clean it, but the problem is, I live on
14 Pletcher Road and they just built -- they
15 built new houses, developments, roads right
16 over this pipe and next to my house, there's
17 now a water retention pond which, you know, is
18 fairly deep, so there's possibly pathways now
19 and also, to peoples' houses and water lines.

20 I think there's evidence that it should be
21 looked into and that report that Amy talked
22 about was by Credo Associates. The Town did
23 it and they found mercury and quite a bit of

1 it. I sent a copy of it to Paul's office and
2 the summary of that said that that -- those
3 chemicals didn't come from the river, they
4 leached back down to the river from the pipe.

5 So, I don't -- every time I come to these
6 meetings, no one ever talks about the pipe and
7 I don't know why. I think it's kind of
8 important because it's a pathway right into --
9 it's a poison conduit from this place and
10 right through the community.

11 MS. KREUSCH: Paul?

12 MR. GIARDINA: I got involved in this. In
13 fact, I just met Mr. Myers tonight, even
14 though I answered his letter two days ago,
15 thanks to the Corps of Engineers who found the
16 Agency's original response faster than we
17 found it. So, to put this in proper
18 perspective, in my understanding -- and I
19 would welcome the Corps if they've got
20 different information to correct me if I'm
21 wrong, but the pipe was cut.

22 The intake pipe was cut and sealed after
23 stuff happened at LOOW, after the work was

1 done. The question was, did illegal dumping
2 go on into the pipe after that by others not
3 related to LOOW and then, the question is
4 who's responsible and what's worse, looking at
5 the pipe now and exposing workers to danger or
6 letting it sit and I think that needs to be
7 look at. Unfortunately, I don't know that
8 that's a Department of Defense, Corps of
9 Engineers' responsibility or a local
10 responsibility but clearly, if there's a
11 history of illegal dumping going on, it needs
12 to be checked out one way or another, even if
13 episodic types of things are discussed and I
14 don't know the next step because it's not
15 something we would necessarily deal with and I
16 don't know where it is, but there's got to be
17 a path forward to get you a better answer.

18 MS. KREUSCH: Does anybody on the Corps
19 team have anything further to say on that?
20 Okay. Next question. Amy?

21 MS. WITRYOL: Just to keep things moving,
22 I -- just to pop back to the school for a
23 moment, Michelle, I apologize. I missed the

1 presentation earlier. Was it the same one
2 that was given at the school board meeting
3 last week?

4 MS. BARKER: The one that Mick Senus had
5 done was the same one.

6 MS. WITRYOL: Same one? Okay. Great.
7 Well, in just looking at the -- my
8 recollection from the presentation last week
9 is I did have several questions, but I think
10 that it's similar to Building 401. Will we
11 actually see a sampling plan, you know, two
12 weeks before the Corps goes out into the
13 field? While I've heard it mentioned that Joe
14 Gardella has looked at everything and is fine
15 with it, I haven't heard Dr. Gardella say that
16 and I know he's a big proponent of public
17 input, so I'm wondering if we could have, you
18 know, some sort of, you know, a defined window
19 in a, you know, News from the Corps note so we
20 can look at it and make comments to the school
21 and the Corps, just informal comments that you
22 don't have to necessarily respond to.

23 MR. SENUS: This is Mick Senus. Yes,

1 you will have time to review that. The work
2 plans are on the web right now. The addendum
3 to the -- from the Waste Water Treatment Plant
4 that we sampled last year, there would be an
5 addendum to that that our contractor is
6 working on right now. We expect those within
7 say, two weeks.

8 MS. WITRYOL: So, you're doing this under
9 the Lewiston Waste Water Treatment Plant
10 Project is where, how your rolling in the
11 school sampling?

12 MR. SENUS: The work plans, health and
13 safety plan, all the standard regulations that
14 we need to abide by. We will produce an
15 addendum really is what you want to look at
16 where we are sampling, how we are sampling
17 very specific to Lew-Port, that's what we're
18 doing and we will but those on the web.

19 MS. WITRYOL: Okay.

20 MR. SENUS: You'll have at least two weeks
21 to go ahead and review those. We don't plan
22 on sampling until late July or August. Does
23 that answer your question?

1 MS. WITRYOL: Yes, it does. The only
2 thing I would add only because I've mentioned
3 it in previous years is that as long as we
4 have 2,000 curies of radium-226 sitting in the
5 Niagara Falls Storage Site, I think every
6 parent in this community would like to see
7 deep and shallow groundwater monitoring wells
8 between that Southwest Drainage Ditch and the
9 school property unless and until we can prove
10 beyond the shadow of a doubt that we've got a
11 monitoring system in place that is absolutely
12 foolproof and that there's nothing that could
13 conceivably slip past any of the wells that
14 are in surveillance right now. Thank you.

15 MS. KREUSCH: Thank you, Amy. Paul.

16 MR. GIARDINA: The water line, put that on
17 the EPA's to-do list. In talking with
18 Mr. Myers here, there may be some things we
19 can look at and at least identify another path
20 forward, so give that one to us.

21 MS. KREUSCH: Okay. Thank you.

22 Additional questions? Ann Roberts?

23 MS. ROBERTS: I had a question or a couple

1 questions relating to the RI Addendum. I was
2 quite disappointed, really, that the public
3 were not asked for input into the sampling
4 plan for the RI Addendum as you're probably
5 well aware and I was quite disappointed that
6 A, the RI Addendum does zero sampling of lower
7 water-bearing zone which is, I think, a data
8 gap in the RI that there is very little
9 sampling of the lower water-bearing zones. I
10 mean, as I said, I have concerns that there's
11 leakage into that zone from the IWCS.

12 I was also disappointed that there didn't
13 seem to be any samples or relevant sampling
14 south of the IWCS where, in the lower water-
15 bearing zone, you have these high
16 concentrations of uranium. I know we talked
17 about the explanation of storage in that area,
18 but that area was supposed to have been
19 cleaned up before the IWCS was created, so
20 there are records, documents to say it was
21 cleaned.

22 So, I'm just wondering why there wasn't
23 some sampling south to try and determine

1 whether the uranium contamination in that
2 area. Either it's coming from the IWCS or
3 it's pre-existing. I don't believe it's pre-
4 existing, but I don't see any sampling to try
5 and prove or disprove that.

6 MS. BARKER: I can address that.

7 MS. KREUSCH: Michelle Barker.

8 MS. BARKER: Thank you. I'm just making
9 sure I get everything in for your comments
10 here. The first is the work plans. When we
11 started the remedial investigation, we
12 developed an extensive amount of work plans,
13 both safety plans and health plans and
14 sampling plans. For the RIR Addendum, our
15 strategies, our sampling techniques were
16 similar to what we used for the RI. The
17 actual sample locations we identified in the
18 work plan ended up being changed in the field
19 and the reason is that we sort of took an
20 approach to this field effort as we have a
21 general feel for the areas of interest which
22 we highlighted in June at the public workshop.
23 When we got out there, we sort of let the

1 field results speak for themselves and we
2 adjusted the locations based on preliminary
3 data we received to make sure that we sort of
4 worked in a realtime mode. So, how we did
5 that is we would -- we had some quick
6 turnaround analysis for uranium, which is one
7 of the indicators that we were looking for.

8 We also had field screening results, so we
9 sort of let them guide us to where these well
10 locations should be, so it was sort of a
11 different approach than we've taken in the
12 past and I'm not sure, you know, even with our
13 input for the work plan that it really could
14 have resulted in what ended up happening in
15 the field and I think we intended on that to
16 begin with.

17 The second item you mentioned is the lower
18 water-bearing zone. We did extensive sampling
19 with the lower water-bearing zone during the
20 Remedial Investigation. One of the recent
21 additions in 2008 to the Environmental
22 Surveillance Program was we did add a deep
23 well that's immediately downgradient of the

1 cell, so that would be part of the upcoming
2 results to, you know, show as a better
3 protective measure.

4 The south of the IWCS, we did add a well
5 south of the IWCS during the Remedial
6 Investigation Addendum. We located it in an
7 area that was sparse and shallow coverage for
8 that lower portion of the cell, so we made
9 sure that, you know, there was sufficient
10 coverage throughout the southern half. We
11 located that immediately south of the cell to
12 best be a best indicator of, you know, any
13 kind of cell breach or integrity issues. We
14 felt that was more critical.

15 One other thing to note is, that area
16 south of the cell is actually sort of
17 upstream, if you will in groundwater with
18 respect to the cell. The groundwater
19 direction actually goes to the north which is
20 straight up and a little west, so I understand
21 that that is an area where the clay cutoff
22 wall had an increased amount of sand lenses
23 and therefore, potential vulnerability

1 specifically in that area, so we try to look
2 at where those sand lenses may be and make
3 sure that there's adequate coverage in the
4 southern end.

5 MS. ROBERTS: I hear what you're saying,
6 but I think what concerns me is that there is
7 an assumption that the high levels of uranium
8 that you're showing in red on the diagram are
9 caused by pre-existing contamination and I
10 would have thought you could have done some
11 sampling which would either confirm or
12 disprove the theory that it's leaking. I see
13 nothing. I see one sample which seems more
14 compelling to map out any uranium in
15 groundwater to the west whereas I'm far more
16 concerned with the migration of uranium in
17 groundwater in the upper water-bearing zone to
18 the east because you have preferential
19 pathways there, you have the Central Drainage
20 Ditch and I'm -- to me, it just looks as if
21 it's leaking.

22 I cannot believe that you're getting those
23 sorts of levels of uranium in an area that was

1 supposedly cleaned up. So, I would think
2 there is -- that ought to be a high priority
3 to prove or disprove whether the IWCS is
4 leaking at that particular spot.

5 MS. BARKER: We do have some other areas
6 on site that are away from the cell that were
7 known, documented storage -- rad. Storage
8 areas that have very elevated concentrations,
9 specifically, uranium which is sort of what we
10 used as an indicator, you know? It's the most
11 mobile contaminant that we have on-site from a
12 radioactive standpoint.

13 So, the levels, I guess, don't surprise
14 me. They're comparable to other areas with
15 known rad. storage. I guess our main focus
16 was, as you said, to ensure the integrity of
17 the cell and to monitor that closely. So,
18 that's why we focus that well immediately
19 south of the containment cell versus somewhere
20 that is not going to migrate off-site.

21 The purpose -- the main purpose of the
22 Remedial Investigation was to ensure that --
23 to kind of focus on off-site migration so that

1 was our -- that was our focus, but we did add
2 that well in as an extra measure for the
3 southern half.

4 DR. KEIL: We have wells to the south,
5 that have been involved in environmental
6 surveillance, true?

7 MS. BARKER: Yes.

8 DR. KEIL: Our environmental monitoring
9 reports showed trend analysis over the past
10 ten or more years and we don't see increasing
11 trends in uranium.

12 MS. ROBERTS: I do. I do. I've been
13 through all the environmental monitoring
14 reports, I find it highly, well, odd that a
15 detection of radium in the lower water-bearing
16 zone to the level of 5 picoCuries.
17 Thereafter, the DOE stopped measuring the
18 lower water-bearing zone. I mean, if they had
19 included a further piece of data to say, well,
20 we thought this might have been due to
21 sediment, so we did a filtered sample as well
22 as an unfiltered, but there is nothing.

23 I mean, the response from the DOE is well,

1 we stopped measuring and that, to me, is
2 highly illogical. If you find contamination,
3 you don't stop measuring and similarly, it's
4 the same situation when I look through the
5 performance monitoring where the DOE were
6 actually measuring the levels of liquid inside
7 the IWCS.

8 It was supposed to operate for five years.
9 The data that I've looked at, which was
10 limited, seem to suggest there were problems,
11 that the water level increased dramatically
12 after closure which is something they talk
13 about, that this could be a serious problem,
14 that it's indicating that the cell is leaking.

15 That seems to have occurred, but the data
16 is not really complete because lightning
17 strikes and instead of continuing this program
18 where they say they've built seasonal
19 variations the level inside the IWCS, the
20 program disappeared.

21 DR. KEIL: We don't necessarily agree with
22 what the DOE decided to do about continuing or
23 not continuing certain wells in the program

1 and that's why in the last couple years, after
2 we've evaluated our own Remedial Investigation
3 data, we've re-evaluated our entire monitoring
4 program and we added some wells back into the
5 program, so --

6 MS. ROBERTS: Right, but you've only just
7 recently added one well that monitors the
8 lower water-bearing zone. There has been no
9 monitoring of the lower water-bearing zone for
10 the environmental monitoring program for
11 several years.

12 MS. BARKER: And I think one of the
13 reasons for that might be that we did
14 extensive monitoring the lower water region in
15 the Remedial Investigation up until even 2003,
16 I think. So, with our Environmental
17 Surveillance Program, we're sort of monitoring
18 the worst areas or the area that are most
19 vulnerable to focus on.

20 So, you know, the first sort of indicator
21 would be that 4B well which is right
22 immediately downgrading of it so. So it's not
23 like we don't know what's in the lower water-

1 bearing zone. Has every single lower water-
2 bearing zone groundwater been sampled, no, but
3 the majority of them have, so we do have that
4 data available.

5 MS. ROBERTS: Right, but has the well
6 where the DOE found contamination been
7 sampled?

8 MS. BARKER: That one has not. I'm not
9 sure why that was and it can be. As we talked
10 before that, that radium result was actually
11 an unfiltered and a lot of times, radium likes
12 soils. So, if a sample was mixed or, you
13 know, as far as sampling if they'd bailed it
14 then it would be turbid and you might see some
15 radium.

16 Unfortunately, as you pointed out, they
17 didn't have a filtered sample to accompany
18 that to show that that is why it was what it
19 was, but we're certainly open to looking at
20 that if that's a concern.

21 MS. ROBERTS: Thank you.

22 MS. KREUSCH: Michelle, is that something
23 I should put on the action items?

1 MS. BARKER: OW15B. OW15A. Sorry.

2 MS. KREUSCH: 15A?

3 MS. BARKER: Yes.

4 MS. KREUSCH: And we're going to resample?

5 MS. BARKER: Yes, look at re-sampling.

6 MR. KOWALEWSKI: Bill Kowaleski. Ann, I
7 just wanted to add that our overall scope for
8 this site does include a groundwater
9 component, okay? And so, we can't leave the
10 site until we fully address the groundwater
11 issue which would come after the IWCS and the
12 soils are addressed. So, I go back to the
13 fact that the data we have today is really to
14 support the feasibility study and the solution
15 for the IWCS and the ROD and just to confirm
16 that there's no imminent hazard out there, we
17 still have much more work to do when it comes
18 to groundwater down the road.

19 MS. ROBERTS: Could I just ask if there's
20 any plan to sample the lower groundwater in
21 other areas in the NFSS because certain
22 exposure units, there was no investigation
23 into lower groundwater. Most of the wells

1 seem to be around the IWCS and outside of that
2 exposure unit, there was zero monitoring in
3 certain areas, so is there plans to extend the
4 or do additional sampling of the lower water-
5 bearing groundwater?

6 MS. BARKER: We did do sampling outside of
7 the IWCS area in the lower water-bearing zone
8 during the Remedial Investigation, but if
9 there are areas that you have specific
10 interests in, we can talk with you as we kind
11 of work through your comments and mutually
12 develop a response on them.

13 MS. ROBERTS: Yes and I think it's just
14 when I looked at some exposure units, there
15 wasn't any investigation at all and this
16 happened -- I'm going to say five or six of
17 the exposure units. So, when you looked at
18 the actual number of wells that were sampled
19 in the lower water-bearing zones, it was only
20 a small fraction and the focus seemed to be
21 entirely on the upper water-bearing zone.

22 MR. FREDERICK: This is Bill Frederick. I
23 think what we were doing is we were kind of

1 following the paradigm that when we were
2 looking at the lower water-bearing zone around
3 the Interim Waste Containment Structure, the
4 legacy plumes that are around it relative
5 to -- and then, looking at the lower water-
6 bearing zone in the area, the reality of it is
7 the lower water-bearing zone does not show the
8 impacts to the extent that well -- no, to no
9 extent as the upper water-bearing zone and so,
10 the paradigm of -- around the Waste
11 Containment Structure to have the lower water-
12 bearing zone almost represent a clean zone, I
13 mean, it's naturally a mineralized groundwater
14 and so, when we were looking at some of the
15 other EU's and we were finding surface impact,
16 that we wanted to identify the groundwater
17 impacts from those surface impact or chasing
18 some legacy groundwater that we may have had
19 from the DOE, we just kept it to the upper
20 water-bearing zone, knowing that that's the
21 main transport pathway and the glacial
22 lacustrine layer in between the upper and
23 lower water-bearing zone acts as a nice

1 aquatard between those two
2 hydraulically-separated units and so, the zest
3 of the lower water-bearing zone was, I guess,
4 not so zesty simply because of the paradigm of
5 the IWCS area with being, you know, more of
6 the impacted area and not seeing the same
7 impact at depth.

8 So -- and then, there's a pathway
9 component, too when you're looking at pathways
10 down to the lower water-bearing zone and
11 glacial lacustrine layer maintains a good --
12 deadens the inter-connectiveness of those two
13 units. So, the migration, even a vertical
14 migration between those two units maybe in
15 certain areas of the site, that vertical
16 migration is more robust in other areas.

17 That package of clay in between the two
18 units basically acts as a perching zone for
19 the upper water-bearing zone. So, I mean,
20 that doesn't mean we can't -- that that's the
21 reason behind the -- just the thought process.
22 That's why probably be if you want to consider
23 the lower water-bearing zone not getting it's

1 due, that was the thought process.

2 MS. KREUSCH: Okay. Bill, for those that
3 are not as familiar as other with the upper
4 and lower water-bearing zone things, when you
5 talked about the aquatard, cold you explain to
6 them what that means as far as vertical
7 migration?

8 MR. FREDERICK: If you think of a layer
9 cake style structure, you have the upper
10 water-bearing zone is the top cake part of the
11 layer cake and then, you know, then there's a
12 clay zone that lies in between the top part of
13 the cake and the bottom part of the cake. So,
14 if you think of a frosting zone in between the
15 upper part of the cake and the lower part of
16 the cake, that frosting zone in that cake is a
17 clay that inhibits the movement of water in
18 between those two units and they respond
19 hydraulically differently. Like, during the
20 dry season in the summer, the water levels in
21 the lower water -- in the upper water-bearing
22 zone goes down and where the upper water-
23 bearing zone are actually going up because of

1 just the way the recharge cycles occur and
2 show hydraulic separation. So it's kind of
3 like, a layer cake style with one of those
4 pieces of cake being a.

5 MS. KREUSCH: Before over here, there a
6 question in this corner of the room. Could
7 you state your name, please?

8 MR. AGNELLO: Vincent Agnello, resident in
9 Town of Porter. I would like to make an
10 observation and then, two questions. I've
11 been coming to these meetings for
12 approximately two years plus. We -- the RAB
13 has been disbanded and these quarterly
14 meetings are supposed to be for citizen input
15 in lieu of this citizen's RAB and watching the
16 discussion today for 45 minutes or so on this
17 pipe and whether or not there's contamination
18 here shows that this process is totally flawed
19 and it's a total failure.

20 I thank Ann and Gerant Roberts for coming
21 and being active. They've been active for
22 many, many years in studying the problems on
23 this LOOW site, which extend up approximately

1 68 years of mistakes and flawed decision
2 making and we have input from citizens and all
3 I hear is no, it's not that way, it's not that
4 way, it's not that way, but nobody is saying
5 I'll look at it.

6 With all due respect to Michelle, it
7 sounds like there's one person here making all
8 the decisions here. I don't know of the whole
9 process and I apologize if that's a
10 misstatement. I would like to see more
11 citizens involvement and not just at quarterly
12 meetings.

13 I would like to ask two questions. One is
14 contamination on the site. We've been talking
15 about upper and lower barriers of water and
16 contamination and contamination around the
17 buildings and so forth. I know it rains and
18 water has to go somewhere. What is being done
19 regarding water on this site and is it leaving
20 the site in any way -- contaminated form,
21 whether it's chemical or radiological?

22 MR. FREDERICK: I'll take it. Bill
23 Frederick again. We actually -- the

1 monitoring that we do. I'm going to look at
2 Michelle for a second and think out loud. We
3 do quarterly groundwater levels -- I'm just
4 going to run through a little inventory,
5 mental inventory for a second, quarterly
6 groundwater levels, semi-annual surface and
7 sediment and then, annual groundwater right
8 know.

9 MS. BARKER: I think it's biannual
10 groundwater.

11 MR. FREDERICK: Biannual. Semi-annual
12 groundwater, two times a year. So, the
13 sampling that we take for the surface water
14 especially, that definitely would be the most
15 mobile pathway. That's how things would get
16 off this site the quickest. We sample that
17 twice a year. The sediment and samples at
18 locations that kind of come onto the site, in
19 the middle of the site and then, leaving the
20 site and some of the things we're going to be
21 looking at and we've been discussing with the
22 folks here and the EPA is picking a few
23 locations that are a little bit more robust,

1 doing a little bit more tighter sampling on
2 it.

3 It's kind of in the planning phase, so
4 it's like, in the arm-waving phase, so
5 somewhere down the line there will be more
6 data to not only look at, but information to
7 show that yes, it is protective. Right now,
8 nothing is leaving the site, nothing is of
9 concern to the public to a point where, you
10 know, you don't have to worry about the water
11 coming of the Central Drainage Ditch from the
12 site. We get water coming on from your modern
13 neighbors. We sample that coming on so we can
14 make sure that anything coming on our site
15 isn't bad as well as, you know, leaving our
16 site. So, we want to make sure we both know
17 what's coming on and leaving. So, if there is
18 something that's attributable to us, we can
19 catch that and we can do something about it.

20 For groundwater, we have looked at the
21 groundwater impacts that we've had. We've
22 added more wells. We're going to be added
23 more wells to our Environmental Surveillance

1 which is like that semi-annual monitoring and
2 some of those wells are like, at the fence
3 lines and stuff like that if you want to call
4 them compliance points.

5 And right now, the concentrations that we
6 do see in some of those wells that we just
7 installed recently are above drinking water
8 limits, but they're in -- the good thing is
9 that the groundwater on the site is so
10 immobile and it moves so slowly and the
11 absorption of any kind of contaminant in the
12 soil like the radium and the thorium and
13 uranium is a little more mobile, but it still
14 has a tendency to be like -- the soil acts
15 like a sponge, so it doesn't allow the -- the
16 water can move faster than the contaminants
17 can move. So, is -- am I answering your
18 question? Is it safe? I believe it's not a
19 safety concern to the residents of the area
20 based upon the numbers that I see and these
21 numbers are pretty low. Is it something that
22 you want to leave there forever? Of course
23 not.

1 DR. KEIL: The -- all of our years of
2 environmental monitoring surveillance reports
3 on the web and it shows there's nothing
4 leaving the site that's an issue. In surface
5 water, we have been monitoring since 1997,
6 '98, so that's the purpose of this cap was to
7 contain it and as Mr. Giardina said from the
8 EPA, the cap is working and to answer your
9 earlier question, the reason we're deferring
10 to Michelle, Michelle has been the Project
11 Engineer on the project for ten years, so
12 she's the one that has all the facts and
13 figures about the sampling off the top of her
14 head, so we work as a team to make decisions
15 on the sampling and just the fact that we did
16 the Remedial Investigation Addendum was to
17 address all the comments that we got from the
18 public, from the RAB group, from all
19 stakeholders, so we listen to the comments.
20 We took action. We were trying to address the
21 concerns by doing further sampling and
22 evaluations and as Bill has also stated, we
23 are moving forward with the feasibility study.

1 We're looking at -- all options are on the
2 table right now to look at what -- and how to
3 address the residues underneath the IWCS from
4 plume removal, you know, variations of that,
5 so we're trying to make sure that it will
6 remain protective of human health and the
7 environment for years to come. We're trying
8 to be responsive to your concerns.

9 MS. KREUSCH: Paul Giardina?

10 MR. GIARDINA: I'd like to shift gears
11 slightly because there was one other concern
12 that was raised this afternoon that's actually
13 been raised by some of the citizens I was
14 talking with and I'd sort of like to get it
15 started now and rolling. The history of the
16 site shows that the Department of Energy at
17 one point had a piezometer reading in the
18 water levels in the actual building where the
19 K-65 wastes are and we've talked about it with
20 the Corps and it appears that it was in place,
21 it was working and then it stopped working,
22 struck by lightning or something and then,
23 there is some reference that it might have

1 been repaired.

2 And the question that I think we need to
3 say is what -- and I phrase this question --
4 we'd all be a lot better off if we knew what
5 the water level in the building was and the
6 IWCS was, but from an EPA perspective, it's
7 probably a very bad idea to try to do
8 something heroic like set up something that
9 could jeopardize the clay cover and then,
10 you'd have a lot of radon coming off of it.

11 The question I have is, what do we now
12 really about the piezometer that's there? Is
13 it useable, not useable and as I now recollect
14 after hearing today's thing, was it really
15 installed more to worry about the water from
16 the actual waste of the -- was, you know, had
17 some degree of water? What were they
18 measuring and if you could find the records
19 and we can figure out is there a smarter way
20 or is there an existing way to understand
21 water levels that might be occurring until
22 such time as we actually can get the waste out
23 of here? That's that I think we need to --

1 and Bill, am I phrasing that what you want?

2 I Think that's what we really want to do,
3 you know? It's EPA's position that cap seems
4 to be working just fine to keep the radon in
5 and by far, the radon is a serious
6 environmental pathway that we want to control,
7 so we're not about ready to approve any kind
8 of change that would drive something if there
9 is some way we can figure out in but some
10 existing way, we'd certainly like to relook at
11 that and relook look at that relatively
12 quickly and I would just suggest maybe by the
13 next quarterly meeting and we have a little
14 conference call set up in August, so even if
15 we can get it sooner than that, that would be
16 good.

17 MS. KREUSCH: Okay. Vince had another
18 question and then, the gentleman in the back.

19 MR. AGNELLO: My second question and maybe
20 this can be referred to Paul Giardina, in the
21 past, there's been question about a disaster
22 plan for this community if there's a breach of
23 the IWCS and BP is proof that a worst case

1 scenario does happen and today, we did have an
2 earthquake just north of Ottawa I believe it
3 was, so earthquakes do happen. Is the -- will
4 the EPA or will somebody in this room here
5 work on a disaster plan for this area are
6 should I just move out of this community
7 because I'm sorry I ever moved in.

8 MR. GIARDINA: Well, you're asking a
9 question that isn't EPA's responsibility but
10 I'm sure I can turn that over to the other
11 people who have some responsibility for it and
12 we actually have discussed this. EPA has
13 discussed this with the Corps and our concerns
14 are -- and I don't want to go into too much
15 detail before you, but if something were to be
16 left on-site for a long period of time, we no
17 longer want people to look at risk. We want
18 people to look at it in a deterministic
19 fashion and I used Yucca Mountain in my speech
20 and I assume there will be an earthquake.
21 Assume there will be a tornado. Assume all of
22 these things can happen over a finite period
23 of time and then, determine what you have to

1 do to mitigate that as best as you can using
2 engineering barriers or whatever.

3 Now, I'm going to comment very carefully
4 here. I am aware that Department of Energy-
5 owned facilities, which this is and those that
6 are tended to by those who handle it are
7 responsible for these kinds of issues and
8 that's obviously following 9/11. I know
9 something about that considering where my
10 office is. I know that the Corps is
11 addressing that, okay?

12 It's also a function of what the state
13 does. There's a State Emergency Management
14 Office that does that and they're required to
15 look at it such that they postulate what's the
16 worst thing that could happen and have
17 mitigation techniques for it and I've
18 addressed that it.

19 So, it's also because of some national
20 security issues, not something that you --
21 because in the short term, if somebody
22 actually took an action against the site, that
23 might have more problems than, you know, if

1 there's a 5.5 earthquake in Quebec.

2 MR. AGNELLO: There's a lot of scenarios
3 that can happen.

4 MR. GIARDINA: At Yucca Mountain, we
5 postulated that there would be -- if anybody
6 has been to this area of Nevada you might
7 chuckle but what happens when the next glacier
8 takes off the first 1,000 feet of soil and
9 that's what we're sort of figuring. It's
10 really the responsibility through other areas
11 but and I know the Corps is looking at it.

12 MR. AGNELLO: Thank you.

13 MS. KREUSCH: There's a gentleman in the
14 back in a blue shirt.

15 MR. GIARDINA: I think Bill knows more
16 about this than I do.

17 MS. KREUSCH: Okay. Bill?

18 MR. KOWALEWSKI: Bill Kowalewski with the
19 Corps and I just wanted to add to Paul's
20 statement. The bottom line, it is a DOE-owned
21 facility. The Corps is the caretaker and
22 we've put a lot of serious work and effort
23 into security and emergency response since

1 9/11 to include planning, to include working
2 with the state and Federal Department of
3 Homeland Security, Department of Energy.

4 And while Paul eluded to, you know, we
5 can't give out the combination to the bank
6 vault, I want to reassure you that those
7 discussions those relationships that planning
8 has taken place and you know, the Corps is
9 ready 24/7 to respond and kick that off if
10 needed, which did, by the way, occur today at
11 a local level. Within a minute of us shaking
12 in our offices, this team was on the phone to
13 the site caretakers and directed them to do a
14 walk around, a visual survey, a photographic
15 survey and make sure that there was nothing
16 wrong, so that system does work and I want you
17 to know that.

18 MS. KREUSCH: Okay. The gentleman in the
19 back, please state your name.

20 MR. BLUSCH: Sam Blusch and I live over
21 here on Riverwalk. I just bought a house out
22 here about a year ago. This is my first
23 meeting and what I can see, we're damned if we

1 do and damned if we don't, so we've got to do
2 something. We all agree that something has to
3 be done. I think you're playing with a hand
4 grenade with the pin pulled out.

5 From what I can see from my heavy -- from
6 my experience in heavy construction for 43
7 years, the groundwater is going to pick up
8 because those silos, they look like -- I was
9 talking to this gentleman over here, them
10 silos looks like to me that they're concrete.
11 It was said here before they're going to put
12 plastic down on the ground and that but when
13 they start knocking those silos down and the
14 building down, I'm assuming the contractor is
15 going to use water hoses to hold that dust
16 down. That's what they're talking about.
17 That's what they usually do on heavy
18 construction jobs. So, all that extra water
19 is going to be hitting the plastic that's put
20 on the ground.

21 So, you're going to have to have some type
22 of containment-type berms or a pump or
23 something to take that out with a truck

1 because that's when your groundwater is going
2 to increase because as sure as a dime to a
3 doughnut that's what's going to happen and
4 then, you're going to get a lot of air
5 pollution because I'm assuming they're going
6 to use like the Indians did when they knocked
7 down those grain silos in Buffalo, they're
8 going to probably use a big steel plate on a
9 crane and crack that up.

10 So, that's when your air pollution is
11 going to come into effect because I don't know
12 if that guy that's going to be a laborer on
13 the ground with a water hose is going to be
14 able to spray up onto top of that. Your
15 pollution, you're going to have to watch your
16 air movement in there, so your pollution is
17 going to be blowing from the air and you're
18 going to get a lot more ground pollution.

19 So, what I want to know and my question is
20 this: If it does come to the point where I
21 don't know too much about radiation where
22 you're picking up a lot in the groundwater,
23 you're picking it up in the air with your

1 monitors which I -- we used them on different
2 construction jobs. We used it to pick up gas.
3 Anyway, if that comes to a point where that
4 level goes up, does someone in this room have
5 authority to shut the job down so you can
6 remedy the situation?

7 MR. BOUSQUET: Sir, my name is Steve
8 Bousquet and I actually worked on several
9 projects in the FUSRAP Program where we
10 dismantled buildings. Most recently we took
11 down Building 14 at the Linde Praxair Site in
12 Tonawanda. What we're talking about building
13 is, there will be a berm around that to
14 capture any of the water that is run off of
15 that and filtered, treated and disposed of in
16 on accordance with state and Federal
17 regulations.

18 I will tell you that when we took down
19 that building at the Linde sight, we took it
20 down in a surgical manner where we had
21 realtime dust monitoring which is, I believe,
22 planned for this site as well. We had also
23 radiation monitoring that was upwind,

1 downwind, crosswind to account for any type of
2 particles that may be leaving the site.

3 And I will tell you that in doing that, we
4 used the aerial man lifts and things like that
5 to mist the structure as we were taking it
6 down. It's not going to be a wrecking ball.
7 It will probably be something like a Cat 380
8 or something like that with a hydraulic
9 grapple on it that will crunch it, lower it
10 down. It will be a surgical removal.

11 So, I can speak with confidence that the
12 plans that TES is currently working on and
13 submitting to the Corps for review are going
14 to have quite scrutiny to go through in our
15 project and you're right. Heavy construction
16 is a dirty business, but we're going to do our
17 best and we have proven our best at the Linde
18 site in taking down these buildings.

19 MR. BLUSCH: Thank you.

20 MR. BOUSQUET: Yes, sir.

21 MR. KOWALEWSKI: Sir, just to follow
22 along, the Corps safety policy on your job is
23 anyone, a worker, an equipment operator, a

1 supervisor can shut that job down as soon as
2 they observe a hazard, so it is not like
3 there's several layers of management or
4 decision making. A heavy equipment operator
5 can raise his hand, say this job is unsafe,
6 they need to shut it down and that will
7 happen.

8 MR. BOUSQUET: I'll tell you, sir, that
9 we've had those types of stand downs where we
10 we've had an issue where we have had a laborer
11 or an operator, a union guy come up, say, you
12 know what, I don't like the way this is going.
13 I think we need to take a step back. And we
14 have done that. We have done that. We will
15 do that if that is the case, I promise you
16 that.

17 MR. BLUSCH: Okay.

18 MS. KREUSCH: Okay. There's a question on
19 this side of the room.

20 MR. GIANNETTI: Robert Giannetti, Village
21 of Lewiston. I don't know if I'm entirely
22 satisfied with the answer that was given to
23 Mr. Agnello and I would like to pursue

1 specifically the catastrophic event question
2 and most especially in the light of what
3 happened today and I guess it's a two-fold
4 question. One, what is the biggest
5 danger and I don't want a qualified answer.
6 If there is a ranking of these things, just
7 give it forthrightly, please. What are the
8 biggest dangers to this community from a
9 catastrophic event, are they seismic, are they
10 terrorist, what are they?

11 And I think we have a right to know this
12 and it is reassuring that there are plans in
13 place, but I guess we could start specifically
14 with the seismic event. What is the effect of
15 a seismic event that would affect the site in
16 terms of is it a -- is it mostly a water
17 event, is it an airborne event, is it both of
18 those? This is a serious question and I think
19 it's brought into light by something that has
20 happened today and something that has happened
21 as far away in the Gulf of Mexico with a
22 unforeseen consequence. So, please try to
23 address that in a way that a laymen can

1 understand this without undue qualification
2 and in a forthright manner. Thank you.

3 MS. BARKER: Just to put it in
4 perspective, so we have a 5.5 magnitude
5 earthquake in Ottawa. Ottawa is about 228
6 miles from us as the crow flies. The cap was
7 designed to handle a 5.3 to 5.8 magnitude
8 epicentered here. We looked at the closest
9 fault line which is the Clarendon-Lyndon Fault
10 in Attica. So, that's sort of the design of
11 the cell.

12 At that level, what it does is they have
13 the protective three-foot clay cap that goes
14 on top of the waste and it forms a crack. It
15 would form a crack. It doesn't crack into the
16 waste itself. So, from that standpoint, the
17 biggest danger would be radon release. We do
18 monitor radon as part of our Environmental
19 Surveillance Program.

20 The terrorist, we've done studies. We've
21 worked very closely with Homeland Security in
22 developing scenarios, what could happen? If
23 this happened, what would happen, from bombing

1 to planes running into the cap, you know, some
2 kind of -- some may be sort of unrealistic
3 looks at it and obviously, we can't get into
4 the specifics of it.

5 But the one good thing about the placement
6 of this waste is so you have the waste stored
7 in buildings that were originally part of the
8 freshwater treatment plant at LOOW. The
9 basements of them are nine feet deep, so this
10 waste is placed sort of nine foot below ground
11 surface.

12 Then, you have many feet. You have over
13 20 feet of contaminated waste and debris on
14 top of that with three-foot compact clay on
15 top of that and 18 inches of topsoil, so you
16 see where I'm going as far as, you know, the
17 amount of explosion or the amount of impact
18 that it would take to get down to these
19 residues, so I hope that helps.

20 MS. KREUSCH: I'm sorry. I don't know
21 your name.

22 MR. ROBERTS: It's Gerant Roberts. Thanks
23 for the explanation, Michelle, in terms of the

1 design for earthquake protection. I guess
2 what I wanted to ask on follow up to that is,
3 I can see how you can design something to
4 withstand a certain level of event, in this
5 case, seismic.

6 I think most people would be aware that
7 whether it be a bottle, a vehicle or whether
8 it be a clay cap, things age. So, after 20,
9 30, 40 years of aging, what is the magnitude
10 of a seismic event that can be tolerated and
11 would that be modelled? Typically, there are
12 multi-factors in aging.

13 There's thermal aging. There's aging due
14 to erosion, there's aging due to possible
15 fissures or cracks in the system and goodness
16 knows what else, so how was that modeled and
17 over what time period was that resistance to a
18 5.3 to 5.8 seismic event? Was that modeled
19 covering over what time period?

20 MS. BARKER: This was a Department of
21 Energy assessment and they looked out 1,000
22 years. However, just some things to note is
23 annually, we do a radon flux event where we

1 actually put 180 charcoal canisters on the
2 cell and we measure any type of radon that
3 might be coming out. So, that's sort of a
4 preliminary indicator of any kind of cracking
5 or integrity issues that way.

6 We also do perimeter monitoring for radon.
7 The settling aspect, we recently in 2009 did a
8 topographic survey to measure the elevation of
9 the cell to see if any settling had occurred
10 that might compromise the integrity and we
11 compared the 2009 with the 1991 or the
12 original construction I guess since there was
13 the addition on top of the cell to see, you
14 know, if there had been any settling that
15 might indicate any kind of issues and I'm just
16 reading here to make sure I have it correct.
17 The average change in elevation across the
18 surface of the cell between 1991 and 2009 is
19 plus or minus a tenth of a foot. So, that's
20 good news. We have very negligible settling
21 which indicates the integrity.

22 When DOE constructed the cell, they
23 actually intentionally took anything that

1 might leech or degrade which might cause
2 settling and they place it outside of the
3 landfill itself. They didn't want to put
4 anything in there that might encourage
5 settling and so that's evident now today, you
6 know, some many years later that it still
7 shows it's, you know, still is around as-built
8 elevations.

9 MR. ROBERTS: I think you'd agree, though,
10 most of those observations that we made, for
11 example, the dimensional aspect of settling
12 are really just sort of semi-qualitative
13 assessment. I guess my point is, is anyone
14 with more current experience validated the
15 model that this thing would last and survive,
16 you know, seismic events to the level you
17 indicated. I'm talking about a mathematical
18 model that looks at multi factors of stress,
19 you know. In a lot of deterioration
20 situations and materials such as polymer, for
21 example, you can have mechanical stress,
22 chemical stress due to repeated expansion/
23 contraction, moisture levels, there could be

1 animal burrowing, I mean, all sorts of thing
2 and the way to model that is to use a
3 multi-factor aging model. Has that been
4 attempted?

5 MS. BARKER: We actually, from the
6 groundwater perspective, we have a three-
7 dimensional model that we looked at different
8 sort of failure scenarios, one being erosion
9 of the cell or some kind of decay. We are in
10 the Feasibility Study going to be focusing
11 more on the integrity issues.

12 In looking further, you know, into the
13 future, our first technical memo for the radon
14 assessment is called -- is basically looking
15 at the potential for radon to be released
16 under different scenarios from the IWCS and
17 the next one is the dose assessment, so I
18 guess it's coming would be my answer that
19 we're looking into. We've sort of ensure the
20 current protectiveness but need to look into
21 the future at these alternatives.

22 MR. ROBERTS: I don't wish to take up too
23 much time. I did want to make a couple quick

1 comments on two of these things, one is still
2 the analogy of the layer cake. I guess for
3 that analogy to hold, it would seem that the
4 clay layer was completely perfect throughout
5 this sort of area of consideration.

6 I'm not a geologist, but I find it hard to
7 believe that a clay layer can be completely
8 intact 100 percent. Landfills, when they
9 design these, they've used other layers in
10 addition to clay and the clay landfills have
11 been rejected as imperfect design, so why
12 would a geological clay layer be 100 percent
13 intact.

14 And the other point I wanted to make is,
15 Karen, you mentioned I think quite
16 categorically on a number of occasions is
17 nothing is migrating off the site. We feel
18 it's safe. I think really, you know, when
19 someone makes such a categoric statement, you
20 really have to say within the scope of the
21 tools that we're using, my professional
22 opinion is that nothing is migrating. I don't
23 think you can stay categorically that nothing

1 is leaking, especially when wells have been
2 removed over various periods of time. Thank
3 you.

4 DR. KEIL: Yes. And thank you, I
5 appreciate that. It is very -- I agree with
6 that. It is our current understanding that
7 the current data that we see that. We
8 appreciate that.

9 MS. BARKER: To answer the first half of
10 your question, we have Don DeMarco here. He
11 actually conducted the groundwater modeling
12 for the IWCS at this site.

13 MR. DEMARCO: Hi. I'm just behind you
14 right here. My name is Don DeMarco and I am a
15 geologist and I have studied at stratigraphy
16 at this site in a fair amount of detail, both
17 from the perspective of understanding that the
18 depositional sequence of events that led to
19 the sediments that have been observed, but also
20 with respect to the hydraulic properties of
21 the materials that are on-site and having
22 worked on numerous sites, one advantage I
23 found in studying the site is the amount of

1 bore hole information.

2 And this led us through hundreds of bore
3 hole. We were able to confirm the lateral
4 continuity of the glacial lacustrine clay
5 which is what we refer to it as, but that
6 confirmed our understanding or expectation
7 from a depositional point of view and just
8 very briefly, I'll mention that the glacial
9 lacustrine clay layer was deposited by a
10 glacial lake.

11 That is basically a transgression of what
12 we've referred to today as Lake Ontario, but
13 at some point in the past, the water levels
14 were much higher and as Lake Ontario currently
15 covers a wide area, the lake covered this
16 entire area, so the depositional sediments
17 that led to the clay are regional in nature.
18 Unlike some of the sand lens deposits that we
19 see in the upper -- the brown clay till, some
20 of those which are -- their origin is traced
21 back to glacial fluvial streams which can be
22 very localized and intermittent. The glacial
23 lacustrine clay is regionally- extensive.

1 However, there is some variation in the
2 thickness of the GLC, which we refer to it in
3 an abbreviated form as a GLC. There is some
4 variability in the thickness of the GLC but I
5 don't recall exactly offhand, but I believe
6 that the average thickness is something on the
7 order of 15 feet.

8 With respect to the modeling, Michelle had
9 hinted at the modeling. We did, in addition
10 to baseline modeling, we're really focusing on
11 groundwater here. I know a lot of the
12 concerns with respect to an Emergency Action
13 Plan. A more imminent risk might be related
14 to air, but we studied -- using our
15 groundwater model, we studied potential worst
16 case scenarios and the impact on groundwater
17 contamination and you had referred to
18 degradation of various materials and you know,
19 you might be referring to concrete and
20 settling.

21 From our point of view as modelers, we
22 look at the effect the any type of degradation
23 on the increase in the hydraulic conductivity,

1 basically, the permeability of whatever the
2 substance is, whether concrete or clay and in
3 our model, to account for this, we considered
4 not only a baseline case which is a
5 conservative parameters, you know and our best
6 estimate value of hydraulic value parameters,
7 but then we also considered these worst case
8 scenarios and one of the worst case scenarios
9 considered, well, what happens if we have an
10 animal burrow through the cap?

11 In essence, that translates into an
12 increase the hydraulic conductivity of the
13 cap. The cap would then allow more recharge
14 to penetrate through. We also considered
15 well, what happens if, unbeknownst to us at
16 this point in our characterization, maybe
17 there's a bore hole that penetrated multiple
18 layers that we're unaware of?

19 So, we evaluated that hypothetical
20 scenario and explored the impact on
21 groundwater, but we also looked at earthquakes
22 and I will note that the earthquake today has
23 actually been downgraded from a 5.5 to a 5.0,

1 so it seems to be just outside the range that
2 the cap was designed for. Although, of
3 course, that's with an epicenter right at the
4 cap and in this case, the earthquake was some
5 distance.

6 But nevertheless, we considered these
7 scenarios, however hypothetical they may be
8 and investigate in advance what would be the
9 effect. So, I just I guess in follow up to
10 Michelle, I wanted to kind of give you a
11 broader overview of some of the -- how we use
12 the numerical modeling to evaluate some of
13 these conditions that, in essence, really
14 represent deterioration in the cap.

15 MR. ROBERTS: Thank you very much for
16 that. That was very helpful. I think,
17 however, when you put this into context in
18 terms of quantity of high-level waste coming
19 from this, you said half of the world's
20 deposits are here, that puts it very, very
21 high on the severity level. The numerical
22 model is obviously very helpful in assessing
23 the reaction to possible events, but I think

1 because of the severity of the situation, it
2 would be prudent at least to combine the
3 numerical model with some empirical data.

4 For example, in the case of a seismic
5 event and I think Georgia Tech has a shake
6 table frequently in the design of buildings
7 when we're looking at San Francisco, the shake
8 table was used with scale buildings and you
9 can also look at the effect of various seismic
10 events. It would be fairly easy to replicate
11 the structure that you have, including the
12 clay cap and subject it to empirical
13 measurements to, in part, validate some of the
14 numerical models that you have.

15 MS. KREUSCH: Okay. Thank you. Nona
16 MCQUAY?

17 MS. MCQUAY: My name is Nona MCQUAY. I'm
18 a resident of Cambria and I actually have two
19 questions, one for Mr. DeMarco in regard to
20 the geology of the area, if we really know as
21 much as we should about it, because today in
22 the 5.0 quake, the Niagara Escarpment Slope
23 rocked and rolled, while in the City of

1 Lockport, my computer screen just flickered,
2 so there is quite a variation given what's
3 happening out there.

4 My second question is related to that and
5 that is, that you did have a plan in place to
6 go out and visually observe the cap and the
7 surrounding area after this earthquake. My
8 question is then, did you do any monitoring
9 for radon which would be the risk and since
10 I'm downwind, I would really like to know.
11 Thank you.

12 MS. KREUSCH: John, do you want to answer
13 first or -- John, you're going to go?

14 MR. BUSSE: Yes, I'll go first. Actually,
15 we had an HP on site at the time who was
16 overseeing some other work and he did have a
17 monitor out there and he did walk the
18 perimeter of the cap to verify that there was
19 no leaking to verify the visual observations
20 were correct.

21 MS. KREUSCH: Bill K?

22 MR. KOWALEWSKI: And I'll add that the
23 event is not over with and we have discussed

1 the possibility of sampling some wells to see
2 if there was any spike or change in any
3 groundwater conditions after today's even.

4 MS. MCQUAY: I'd like to mention there was
5 an aftershock that occurred. Not everybody
6 felt it, but there was, so it would be a very
7 good idea to keep monitoring. Thank you.

8 MS. KREUSCH: I'm going to let Don respond
9 and then, Paul.

10 MR. DEMARCO: I wasn't aware that -- I
11 hadn't heard that the Niagara Escarpment had
12 rocked and rolled, but in some ways, it
13 doesn't surprise me given the nature of the
14 rock but with respect to the sediments on
15 site, the stratigraphic units that make up the
16 Niagara Escarpment are not present on the site
17 itself with the exception of the Queenston
18 Formation. The Queenston Formation is a
19 reddish shale and that makes up one of the a
20 lower-lying units in the Niagara Escarpment
21 but the dolostone and limestone layers above
22 the Queenston Shale are not represented
23 on-site.

1 Now, what we do have on-site, the
2 Queenston Formation sort of marks the lower --
3 the deepest extent of the lower water-bearing
4 zone and the sequence of sediments that lie
5 above the Queenston Formation include the
6 basil red till, the eluvial sand and gravel
7 unit, the glacial lacustrine clay, the upper
8 brown clay till and then sand lenses that are
9 embedded within that brown clay till, but I
10 guess my point is, is that all of the
11 sediments on-site are far are more malleable
12 than the brittle rock that makes up the
13 Escarpment.

14 MS. KREUSCH: Paul?

15 MR. GIARDINA: I have a question for John.

16 MS. KREUSCH: Could you lean toward the
17 mike?

18 MR. GIARDINA: You said you had an HP on-
19 site. If you didn't have an HP on-site, about
20 how long would it take to get somebody there
21 in your best estimate?

22 MR. BUSSE: It takes half an hour.

23 MR. GIARDINA: Okay. You could get

1 somebody there within an hour under most
2 circumstances?

3 MR. BUSSE: Absolutely. We have portable
4 monitors on site.

5 MR. BOUSQUET: I supervise all the HP's in
6 the district and we could get somebody there
7 within an hour, hour and a half tops.

8 MS. KREUSCH: Okay. Bill K and then,
9 we're going to need to get wrapping up soon.

10 MR. KOWALEWSKI: I wanted to just follow
11 up on John's statement about additional
12 studies, for example, the seismic studies that
13 you mentioned and that the Feasibility Study
14 process that we're going through which would
15 evaluate a range of alternatives for the long-
16 term remedies would include the identification
17 of further studies that might be needed to
18 support each of those alternatives. So, while
19 they may not be completed now, they will
20 likely be mentioned in the feasibility study
21 of things that are needed in the future.

22 MS. KREUSCH: Okay. We've got time for
23 about five more minutes of questioning. Ann?

1 MS. ROBERTS: I just had a question about
2 the grey clay in that, as I go through the RI,
3 even with the limited amount of sampling in
4 the lower water-bearing zone, there have been
5 radiological contaminants found. So if the
6 clay is so perfect, how did the radiological
7 contaminants end up in the lower water-bearing
8 zone?

9 MS. KREUSCH: Bill Frederick.

10 MR. FREDERICK: We're going to look into
11 the well of concern, all right? We've already
12 had that discussion. So, in -- there's
13 basically one sample taken by the DOE in what,
14 1993 that kind of has drawn the attention of
15 you, so we'll go check. That well still
16 exists, it's still there and we will take a
17 sample from that and we will found out if
18 there's any concern. The biggest concern was
19 that was radium-226 sample. It seems to be a
20 spurious hit. There was no uranium marker
21 along with it, but that doesn't preclude it
22 from being investigated further.

23 MS. ROBERTS: No, I think the concern was

1 having detected that particular level of
2 radium, the sampling seems to disappear in the
3 sense that the DOE discontinued looking at the
4 lower water-bearing zone but having found
5 that, I went back and looked at the amount of
6 sampling that you've done in the RI and I was
7 struck how limited that was but even so, in
8 the RI, you do record the fact that
9 contamination has been detected in the lower
10 water-bearing zone. Well, as far as I'm
11 concerned, if the clay is so perfect, you
12 shouldn't be detecting anything virtually,
13 only naturally-occurring material.

14 MR. FREDERICK: That's pretty much what we
15 found is naturally occurring ranges of data.

16 MS. BARKER: The only thing I could think
17 of is there might have been burial areas.
18 There was also excavation done by Department
19 of Energy on various portions of the site.
20 They had lagoons in some places that may have
21 caused some interaction. Those would be the
22 things I can think of.

23 MR. FREDERICK: I actually have a homework

1 assignment for Ann, too.

2 MS. ROBERTS: Sounds good.

3 MS. KREUSCH: Amy, you have another
4 question?

5 MS. WITRYOL: Well, just a couple
6 comments. In answer to Vince Agnello's
7 question, we don't have a storm water
8 retention program at the NFSS, so we don't
9 have sampling on all the storm water leaving
10 the site, so we really don't know how much
11 contamination is leaving the site.

12 With respect to the catastrophic event
13 scenario, I assume that the Army Corps will
14 work closely with the DEC because if we have a
15 seismic event significant enough to split open
16 the NFSS cap, it may very well split open any
17 one of or all of the 12 chemical landfills
18 next door and how are we going to address
19 emergency response for all of that, assuming
20 that the NFS would not be the only impact in
21 addition to all of the other sites in this
22 area of Niagara County.

23 As far as the cell design and all the

1 discussions and the modeling and in addition
2 to the age, keep in mind there is no bottom to
3 this cell. The only thing that was
4 constructed was the sides and the top and
5 patching up this Cold War-era basement that
6 material was poured into. Thank you.

7 MS. KREUSCH: Thank you, Amy. Any
8 additional comments or questions from the
9 audience or from the Corps team? Ann Roberts?

10 MS. ROBERTS: Sorry to hog the
11 microphone, but I just wanted to make a
12 request that I was quite disappointed that we
13 having a discussion on the RI Addendum when
14 were unable to obtain all the data from the
15 results that you have. So, it would have
16 been, I think, more beneficial to the
17 community to have the data before we actually
18 have the discussion of the RI Addendum so that
19 we could have some more meaningful input. I
20 think to me, the data is very important so
21 that we can actually make the greatest
22 contribution that we could.

23 MS. BARKER: I know we submitted some of

1 the data. Obviously, our data has to go
2 through validation process to ensure the
3 quality, so definitely as soon as it's
4 validated, we will post that to the website.
5 This was sort of an introduction, I guess, to
6 the Addendum, it wasn't really the full
7 meeting, so there will be a meeting after this
8 where we talk about the conclusions and
9 everything and you'll have the data by then.

10 MS. KREUSCH: Paul?

11 MR. GIARDINA: I just want to note
12 there's a person here that should be noted and
13 that's Bill Nowak from State Senator
14 Thompson's office and Bill has been interested
15 in a lot of the FUSRAP issues. His office has
16 talked, I think at length, with my staff and
17 actually, today we met on a related issue to
18 this. So, I just want people to realize that
19 Bill is here and you know, attending the
20 meeting and talking and I think the citizens
21 should realize if they don't know who he is,
22 they should realize he's here and there is,
23 you know, interest by the State Senator's

1 Office and Bill.

2 MR. BOUSQUET: I also think there's a
3 representative from Congresswoman Slaughter's
4 Office, a staffer.

5 MS. WITRYOL: He left early and we had
6 representatives from U.S. Senator Schumer and
7 Gillibrand here and Senator Thompson
8 technically where we're sitting does not
9 represent this district, but he does chair the
10 New York State Senate Environmental
11 Conservation Committee and we are extremely
12 grateful that he sent a representative here.

13 MS. KREUSCH: Thank you. And thank you.
14 Are there any additional comments or
15 questions? Thank you very much everyone for
16 coming and for your input tonight and the team
17 will be available for a few more minutes while
18 we clean up the room, so everybody get home
19 safely. Thank you.

20
21
22
23