

Department of the Army USACE Buffalo, New York  
1776 Niagara Street, Buffalo, New York 14207-3199

PUBLIC INFORMATION SESSION CONCERNING  
NIAGARA FALLS STORAGE SITE

Youngstown, New York

September 10, 2008

Transcript of proceedings held in the above-entitled matter held at the Lewiston Senior Center 4361 Lower River Road, Youngstown, New York on Wednesday, September 10, 2008 commencing at 7:00 p.m. pursuant to notice

APPEARANCES: (NFSS PROJECT TEAM)

BILL KOWALEWSKI- NFSS/LOOW PROGRAM MANAGER

DUANE LENHARDT - PROJECT MANAGER

MICHELLE RHODES - PROJECT ENGINEER

JUDY LEITHNER -REGIONAL TECHNICAL SPECIALIST

KAREN KEIL- ENVIRONMENTAL TOXICOLOGIST

WILLIAM FREDERICK-HYDROGEOLOGIST

ARLEEN KREUSCH- OUTREACH PROGRAM SPECIALIST

PRESENTERS

DAVE KULIKOWSKI HALLE SERAZIN

CONTRACTORS (SAIC, TETRA TECH, HGI, ARGONNE)

TRANSCRIPTION SERVICE: Associated Reporting Service  
Post Office Box 674  
229 West Genesee Street  
Buffalo, New York 14201-0674  
(716) 885-2081

Proceedings recorded by electronic sound recording,  
transcript produced by transcription service.

## INDEX

SPEAKERS	PAGE NUMBER
ARLEEN KREUSCH	3
BILL KOWALEWSKI	3
HALLE SERAZIN	8
DAVE KULIKOWSKI	14
HALLE SERAZIN	19
DAVE KULIKOWSKI	25
HALLE SERAZIN	32
BILL KOWALEWSKI	38
AMY WITRYOL	44
BILL KOWALEWSKI	48
TIM HENDERSON	51
JUDY MULGIVER	54
MICHELLE RHODES	55
BOB GIANNETTI	57
HARRIETT TOWER	59
MARY ANN ROLAND	60
PAUL DICKEE	62
JUDY MULGIVER	63
MARIN WELD	65
KAREN ALLEN	67
TOM LACAIJCZYK	68
DR. BOECK	69
AMY WITRYOL	77
SCOTT KING	79

1 P R O C E E D I N G S

2 MS. KREUSCH: Good evening, everyone. My  
3 name is Arlene Kreuzsch and I'm the Outreach  
4 Program Specialist for the Buffalo District, and  
5 I just wanted to make you aware that the restrooms  
6 -- just to cover the logistics for the meeting,  
7 the restrooms are over here, and there's emergency  
8 exits in the back, and there's also the entrance  
9 that you came in tonight.

10 I'm now going to introduce Mr. Bill  
11 Kowalewski. He is the Program Manager for the  
12 Lake Ontario ordinance work site and Niagara Falls  
13 Storage Site. thank you.

14 MR. KOWALEWSKI: Good evening, everybody.  
15 Thanks for coming tonight. Welcome to the second  
16 public information session that the Corps of  
17 Engineers is sponsoring regarding the remedial  
18 investigation report for the Niagara Falls Storage  
19 Site. May I have the next slide, please.

20 The purpose of tonight's meeting is to  
21 continue the discussion and address questions and  
22 concerns regarding the remedial investigation  
23 report for the Niagara Falls Storage Site. The  
24 agenda for tonight's presentation is shown on the  
25 slide in front of you. Hopefully you've had an

1 opportunity earlier this evening to engage one-on-  
2 one with our technical specialists who were  
3 available starting at 6:30.

4 The presentation is scheduled for one hour.  
5 At about 8:15 we will begin the question and  
6 answer period for tonight's presentation, and then  
7 we will wrap up the meeting about 9:00 o'clock.  
8 There will be a few minutes available afterwards  
9 if individuals would like to come forward and  
10 speak with our project team individually again.

11 I'd like to recap where we're at with the  
12 remedial investigation of the Niagara Falls  
13 Storage Site to try to bring everybody up to speed  
14 for tonight's meeting. In December of 2007 the  
15 Corps of Engineers published their Remedial  
16 Investigation Report, which was the culmination of  
17 an eight-year effort to study the situation at the  
18 Niagara Falls Storage Site with regards to the  
19 nature and extent of contamination and the  
20 assessment of health and ecological risks at the  
21 site.

22 In April of 2008 Dr. Boeck from the community  
23 submitted a very nice and detailed report with  
24 eleven major concerns, based upon his review of  
25 the document.

1 In May of '08 we held our first public  
2 information session on this topic and we discussed  
3 several technical areas of concern which were  
4 raised in the review of the document to that time.  
5 Those issues were mainly about the integrity of  
6 the interim waste containment structure and the  
7 potential for off-site migration due to  
8 underground pipelines. From that event, the main  
9 meeting, we captured 53 additional questions about  
10 the report.

11 In July of 2008 we received another 12  
12 written comments from Ms. Anne Roberts, and 59  
13 comments from Scott King in the Community LOOW  
14 Project. In August of 2008 Dr. Boeck provided us  
15 with six additional topics regarding ongoing  
16 review of the report. In September we received 78  
17 comments from the US EPA and their review of the  
18 document.

19 On Monday of this week, we received another  
20 written report from Niagara County. It was  
21 prepared by Mr. Norm Buski and submitted on behalf  
22 of Niagara County by Mr. Gary Abraham, special  
23 counsel to the County.

24 We do know that the New York State Department  
25 of Environmental Conservation has conducted a

1 review of the report and we still expect to get  
2 comments from them in the future.

3 So from the time that we published the report  
4 in December we've accumulated to date 234 comments  
5 from the public review of this report. Tonight  
6 we're prepared to discuss in further detail those  
7 issues that were raised in May and also some of  
8 the issues that have been brought to our attention  
9 through the comments received in about the August  
10 time frame.

11 The comments and questions that we compile  
12 tonight will be added to the overall collection of  
13 comments, and beginning on about October 13<sup>th</sup> the  
14 Corps team is going to formally kick off its  
15 comprehensive review and preparation of a response  
16 document to all of the concerns and questions we  
17 have received. So we will provide this  
18 responsiveness summary to the public when we're  
19 done, and it will outline where the Corps is going  
20 to go on each of these issues with regards to the  
21 future of the project.

22 This Remedial Investigation Report for the  
23 Niagara Falls Storage Site represents the first  
24 major compilation and evaluation of data by the  
25 Corps of Engineers since we got involved with the

1 investigation of the site in the late 1990's. I'd  
2 like to stress that this report marks the  
3 beginning, not the end of an ongoing and expanded  
4 effort to collect and evaluate data at the site.  
5 The data collected and evaluated in the Remedial  
6 Investigation Report is not intended to be the  
7 final answer on environmental conditions at the  
8 site. Rather it represents the body of evidence  
9 that we have at this time needed to support the  
10 next phase of the process, which is the  
11 Feasibility Study. The Feasibility Study is the  
12 document where we will identify and evaluate the  
13 potential long-term remedies for this site.

14 In addition to the Investigation Report that  
15 we're talking about tonight, the Environment  
16 Surveillance Program, which was started in 1981 by  
17 the Department of Energy, continues. We perform  
18 that regularly throughout the year and publish  
19 those reports, and we will continue to do so as  
20 long as we're involved with this project, to  
21 insure the public safety and health.

22 I should mention that as we get down the road  
23 with this project and approach the selection of a  
24 long-term remedy, those efforts will themselves  
25 generate a lot more data. There will be a lot

1 more field sampling, a lot more engineering  
2 evaluation of the property as we get towards  
3 remedial design, remedial action and long-term  
4 monitoring of whatever solution is ultimately  
5 selected.

6 That kind of recaps not only where we're at  
7 with this report but in short where we're at in  
8 the overall process, and what I'd like to do now  
9 is, again, thank you for your attendance tonight,  
10 and I'd like to introduce Dave Kuliowski and Halle  
11 Serazin, from one of our prime contractors, SAIC,  
12 and they're going to continue with the  
13 presentation tonight. They will discuss the  
14 overall Federal cleanup process that was created  
15 by Congress and developed by the US Environmental  
16 Protection Agency. We're going to again go over  
17 some of the conclusions of the RIR report, and  
18 then discuss in more depth some of the topics that  
19 were raised at the last meeting and submitted to  
20 us since about the August time frame.

21 Okay. Without any further ado, Halle and  
22 Dave. Thank you.

23 MS. SERAZIN: The Comprehensive Environmental  
24 Response Compensation and Liability Act, also  
25 known as CERCLA or Superfund, defines a systematic



1 approach for identifying, investigating and  
2 cleaning up hazardous waste sites. All the  
3 actions at the Niagara Falls Storage Site are  
4 being performed consistent with CERCLA methods and  
5 this graphic shows you where we are in that  
6 process. As you know, we recently completed the  
7 remedial investigation, which defined the nature  
8 and extent of site contamination and evaluated  
9 potential risks to human health and the  
10 environment.

11 The Feasibility Study is the next step in the  
12 process. We're holding these meetings to review  
13 and respond to your comments submitted for the  
14 remedial investigation. Once the remedial  
15 investigation comments are received, we will  
16 perform a data gap analysis and decide whether any  
17 of the data gaps identified need to be addressed  
18 in an addendum to the remedial investigation or  
19 whether they can be addressed as part of the  
20 Feasibility Study. During the Feasibility Study  
21 we will develop clean-up objectives and evaluate  
22 multiple remedial alternatives to address site  
23 contamination.

24 The Feasibility Study leads to the proposed  
25 plan where the preferred remedial alternative is

1 selected. Finally a record of decision will be  
2 filed to document final decisions on site closure.

3 Note that the CERCLA process allows for a  
4 removal action at any time during the process if  
5 it's determined that human health or the  
6 environment are at risk.

7 So now let's back up and see how we got to  
8 where we are. During World War II the Army Corps  
9 of Engineers built several facilities across the  
10 United States to manufacture munitions for the  
11 war. In 1942, the Corps acquired more than 7,000  
12 acres of agricultural land in northwestern New  
13 York State and constructed a NTP -- or a  
14 production plant known as the Lake Ontario  
15 Ordinance Work, or LOOW. TNT production at the  
16 LOOW ended a year later in July of 1943.

17 In 1944 the Manhattan Engineer District was  
18 granted use of a portion of the LOOW for the  
19 storage of radioactive residues generated from  
20 uranium ore processing. With this action the  
21 Niagara Falls Storage Site was created.

22 In 1974 the Former Utilized Sites Remedial  
23 Action Program, or FUSRAP was formed, to address  
24 the legacy wastes left behind by the Manhattan  
25 Engineer District Atomic Energy Commission

1 Program, including the materials stored at the  
2 Niagara Falls Storage Site.

3 Seven years later, in 1981, the Department of  
4 Energy began an environmental monitoring program  
5 to assess radon emissions from NFSS and to look  
6 for radiological contaminants in surface water,  
7 sediment and ground water. Later that same year,  
8 radioactively contaminated soil from a vicinity  
9 property was excavated and placed in an area  
10 called the R10 Pile on the NFSS property.

11 Various remedial actions were performed  
12 throughout the 1980's including construction of  
13 the Interim Waste Containment Structure from  
14 between 1982 to 1986. In 1997 control of the NFSS  
15 was transferred from the Department of Energy back  
16 to the Corps. The Corps continued to  
17 environmental monitoring of the site and in  
18 February 1999 the Corps issued the first scope of  
19 work directing the performance of a remedial  
20 investigation which was completed in 2007. Next  
21 slide.

22 So let's look at some of the accomplishments.  
23 In the 1980's the United States Department of  
24 Energy consolidated radioactive residues and  
25 contaminated soil and debris into the Interim

1 Waste Containment Structure. Presented here is a  
2 photograph taken during the IWCS construction and  
3 a photograph of how it appears today. The IWCS  
4 was engineered to slow radon emissions, rain  
5 infiltration and the migration of contaminants in  
6 ground water. Residues were placed directly on  
7 naturally occurring clay and into the basement of  
8 building 411. Prior to placing materials into the  
9 building 411 basement, drains, pipes and openings  
10 in the basement were sealed, and details on that  
11 operation will be presented a little later.

12 Approximately 190,000 cubic yards of  
13 radioactive waste and materials containing radium  
14 and thorium were placed in the IWCS. Construction  
15 of the IWCS took several years beginning in 1982  
16 and ending in 1986. In 1999 isolated areas of  
17 residual radioactivity from across the NFSS were  
18 incorporated into the IWCS.

19 The remedial investigation was conducted to  
20 determine the nature and extent of contamination  
21 and included a regional ground water flow and  
22 contaminant transport model and an evaluation of  
23 the integrity of the IWCS. The remedial  
24 investigation was an eight year effort. It  
25 included three phases of field investigation.

1 During the remedial investigation more than 1,400  
2 samples were collected and more than 150,000  
3 analytical results were recorded.

4 The Corps' mission is the protection of human  
5 health and the environment. To accomplish this,  
6 the Corps conducts maintenance activities and  
7 annually publishes technical memorandum which  
8 highlight findings from the Environmental  
9 Surveillance Program. Measured radon and external  
10 gamma radiation data show that exposures from the  
11 site are currently well below Federal standards.

12 So let's review some of the key conclusions  
13 from the remedial investigation. We gave you  
14 these back in May but we'll repeat them here. No  
15 immediate off-site risk to nearby communities, no  
16 off-site radiological contaminant migration  
17 currently occurring via surface water or  
18 sediments, ground water plumes are limited in  
19 extent and coincide with historic operational  
20 areas. The remedial investigation included an  
21 assessment of the integrity of the IWCS and  
22 concluded that with continued maintenance the  
23 structure will be sound for some time. However,  
24 the IWCS was not designed as nor will it be used  
25 as a permanent storage facility.

1 Finally, the Feasibility Study will be  
2 conducted to address on-site and future risks.

3 Now Dave Kulikowski will begin our follow-up  
4 on some of the remedial investigations that we've  
5 received so far.

6 MR. KULIKOWSKI: Thank you. So since the  
7 public information session held on May 7<sup>th</sup>, we  
8 received comments regarding a variety of topics.  
9 Your comments are important, especially as we  
10 perform our data gap analysis, as we head into  
11 that. Thank you for taking the time to read and  
12 comment on these large voluminous technical  
13 reports. Written responses to public comments  
14 will be available after all comments are received  
15 in mid October.

16 We've grouped the remedial investigation  
17 comments received today into the categories listed  
18 on the slides. Tonight we're going to discuss  
19 each of these categories in more depth to help  
20 focus and encourage additional public discussion  
21 and comments. The principal focus of the comments  
22 tonight include ground water, pipelines,  
23 contaminant plumes, soundness of the IWCS,  
24 radiological contamination and access to  
25 information. Some of these topics cover more than

1 one issue so we'll get started. There's a lot of  
2 information to cover here.

3 All right. The NFSS ground water model  
4 assessed ground water dynamics both regionally and  
5 locally for the site. The areas of comments that  
6 were received regarding ground water flow, they  
7 concerned the presence of sand lenses, and the  
8 possibility of paleochannels, and the level of  
9 ground water within the IWCS. Next slide.

10 So let's start our discussion with a couple  
11 of definitions. Let's start with sand lenses.  
12 Till roughly 10,000 years ago most of New York  
13 State was covered by glaciers. When the glaciers  
14 melted they left behind till deposits consisting  
15 of mixed clay, sand, gravel and boulders, kind of  
16 a sedimentary melange. Till deposits like those  
17 found in the NFSS, they slow ground water flow and  
18 consequently contaminant migration. However, till  
19 deposits often contain embedded sand lenses, and  
20 the NFSS is no exception. The sand lenses, so  
21 it's kind of a well sorted sand pocket within the  
22 till.

23 Moving on to paleochannels, a paleochannel is  
24 a remnant of a stream channel cut into older rock  
25 filled by sediments of younger, overlying rock.

1 So it's essentially a buried river channel. So if  
2 present, the paleochannel would allow for faster  
3 contaminant migration.

4 The NFSS is situated over a clay layer called  
5 the upper clay till. That's shown in the brown  
6 area on the top there. The upper clay till is  
7 approximately 15 feet thick and it lies above a  
8 multi-layer glacial complex designated as a  
9 glacio-lacustrine clay. During the remedial  
10 investigation, 250 bore holes or monitoring wells  
11 were installed that fully penetrate the upper clay  
12 till. The borings were used to construct three  
13 dimensional structure maps of the glacial deposits  
14 at the NFSS to give us an understanding of what  
15 things look like underground.

16 This graphic or stratographic profile is a  
17 profile of the subsurface layers at the NFSS and  
18 it includes a depiction of where the sand lenses  
19 occur, and the sand lenses occur in the upper clay  
20 till at that little blond -- So this  
21 stratographic profile was drawn based on  
22 information obtained from all of the soil borings.

23 So in addition to the stratographic profiles,  
24 a geostatistical study of the borings was  
25 conducted and it concluded that the sand lenses



1 are not interconnected over distances greater than  
2 15 to 20 feet horizontally, and over four to five  
3 feet vertically. So given the tight data point  
4 coverage especially in the vicinity of the IWCS,  
5 the presence of a paleochannel would mostly like  
6 have been identified during an RI, and it was not.

7 Furthermore, the finding of no defined plumes  
8 currently in the lower water bearing zone, it's  
9 further evidence that the upper clay till is  
10 slowing ground water flow and contaminant  
11 transport. There are locations in the lower water  
12 bearing zone that exceed background concentrations  
13 but there's no defined plumes. Next slide.

14 All right. Moving on. Concern was expressed  
15 regarding the level of ground water within the  
16 IWCS itself. The geophysical result suggests that  
17 the water level inside the IWCS was three feet  
18 below the foundation of building 411 at the time  
19 the measurement was taken, but without monitoring  
20 within the IWCS the level of saturation can't be  
21 definitively known. So if the level of the  
22 ambient water level surrounding the IWCS is also  
23 representative of the water level in the IWCS,  
24 then a semi-saturated condition would exist at the  
25 base of the IWCS. However, it's believed that the

1 flow inhibiting properties of the IWCS cap  
2 restricts water infiltration into the IWCS and  
3 lowers the water table beneath it.

4 So, the possibility of rising ground water  
5 levels within the IWCS residues was considered in  
6 a hypothetical, worst case scenario, and it was  
7 considered by the ground water model, which  
8 assumed saturated conditions based on the 95%  
9 upper competence limit of measured ground water  
10 levels. This level is around 320 feet above mean  
11 sea level, and for reference, the bottom of the  
12 former building 11 concrete floor is nine feet  
13 lower at 311. So for this hypothetical worst case  
14 scenario, 66% of the residues were considered  
15 saturated. The ground water model simulation  
16 assumed that the IWCS cutoff walls were not  
17 present, but it did include the impact of  
18 horizontal and vertical flow barriers associated  
19 with the concrete walls of the buried buildings.

20 So finally, results of the worst case  
21 simulation, they predict an increased lateral  
22 extent of ground water contamination, an  
23 exceedence of the U-238 screening levels within 50  
24 years directly below the IWCS. However, the  
25 predicted hypothetical worst case ground water

1 plume shows no IWCS related exceedence of the  
2 uranium screening level at the site boundary  
3 within a thousand years. Next slide.

4 The next topic of discussion was pipelines,  
5 and that will be done by Halle.

6 MS. SERAZIN: Let me know if you can't hear  
7 me. Sometimes I can be kind of soft-spoken so  
8 I'll try to speak up. Several questions were  
9 received regarding pipelines at the NFSS including  
10 are pipelines transporting contaminants across the  
11 site, are pipelines allowing contaminants to  
12 migrate out of the IWCS, are pipelines  
13 transporting contaminants off site, and finally,  
14 are pipelines acting as preferential pathways for  
15 ground water flow. The question -- next slide.

16 The question, are pipelines moving  
17 contaminants across the NFSS, is a good one,  
18 because as you can see from this graphic, the  
19 pipelines are present pretty much across the  
20 entire site. If you can't make this out clearly  
21 from where you're seated, a larger version of this  
22 graphic is available on a poster in the front of  
23 the room here. But this graphic was included to  
24 show you the extent of pipelines present across  
25 the NFSS property and you can see that they are

1 quite widespread. Also note that the different  
2 types of pipelines present at the NFSS are shown  
3 using different colors. A variety of pipelines  
4 are present at the site but based on our knowledge  
5 of site operations, we know that the most heavily  
6 contaminated lines are the acid waste - red, and  
7 sanitary - green lines. These lines carry  
8 operational wastewater, so it makes sense that  
9 they would be the most heavily contaminated. The  
10 flow in the acid waste and sanitary lines was  
11 based on gravity, so the lines slope and get  
12 deeper as they approach the wastewater treatment  
13 plant off the northwest corner of the Niagara  
14 Falls Storage Site. Other lines carried clean  
15 water for drinking, fire suppression and  
16 industrial processing. These lines were  
17 pressurized and carry clean water. The remedial  
18 investigation sampling focused on acid waste in  
19 sanitary lines because they are believed to be the  
20 most heavily contaminated and because they  
21 included manholes for easy access. Although a  
22 variety of contaminants were found in pipeline  
23 water and sediments, only lead and PCB's were  
24 identified as chemicals of concern, and they're  
25 shown here as purple and green dots. These

1 locations are shown on the graphic and may need  
2 further evaluation during the Feasibility Study.

3 Please note that this graphic also shows the  
4 four locations where waste and sanitary lines have  
5 been sealed at the property boundaries. There's  
6 three locations on the north and one on the south.

7 Next up, are pipelines allowing contaminants  
8 to migrate out of the IWCS. To address comments  
9 received regarding the possibility of pipelines  
10 allowing contaminant migration out of the IWCS, we  
11 went to the IWCS construction drawings. This  
12 graphic is based on an IWCS construction drawing  
13 titled South Piping Plan and Schedule. This  
14 drawing shows the location of pipelines under the  
15 IWCS where the lines were cut and filled and where  
16 sections of the pipe were removed. Pipelines were  
17 excavated from the building perimeters to an area  
18 immediately outside the IWCS cutoff wall. Some  
19 lines between the buildings were also removed.  
20 Lines were sealed at both ends with concrete or  
21 grout. This included lines running between the  
22 former wastewater treatment plant building and the  
23 42 inch diameter fresh water intake line from the  
24 Niagara River. Next.

25 Are pipelines currently transporting

1 contaminants off-site? To answer this question,  
2 first note that relatively few lines cross the  
3 NFSS boundary. The site layout map that we  
4 presented in slide 14 shows a total of three  
5 sanitary lines, again two on the north side and  
6 one on the south side, and one acid waste line  
7 extending north off the NFSS. All of these  
8 pipelines have been sealed at the property  
9 boundary. Fire suppression, drinking, industrial  
10 processing and cooling water pipelines were left  
11 intact but are believed to be clean.

12 Another important observation for off-site  
13 contaminant transport migrations via pipelines is  
14 that no porous bedding material, for example, sand  
15 or gravel, was observed from around pipelines  
16 leaving the NFSS. Porous bedding material would  
17 enhance the likelihood that the pipelines would  
18 act as preferential pathways for contaminant  
19 migration. During pipeline construction, pipeline  
20 trenches were most often backfilled with native  
21 material. In some cases, like the ones shown  
22 here, the pipeline was encased in concrete bedding  
23 material. Furthermore, we have been and will  
24 continue to investigate radiological contaminants  
25 in off-site low pipelines. At the meeting back in

1 May, several questions were received regarding  
2 pipelines as potential routes for contaminant  
3 migration in ground water and how this issue was  
4 addressed in the Remedial Investigation Report.  
5 Although ground water model did not quantify  
6 ground water flow through pipelines or pipeline  
7 bedding material, this issue was addressed.

8 This graphic compares fluctuation in the  
9 depth of ground water with the depth of pipelines  
10 across the site. The range of ground water depths  
11 accounts for sea level fluctuation in the water  
12 table. Water levels in the upper water bearing  
13 zone fluctuate between two and ten feet over  
14 ground surface. Acid waste and sanitary sewer  
15 pipelines occur between nine and twelve feet below  
16 ground surface with some lines going as deep as 17  
17 feet. Portable lines were pressurized, not  
18 gravity feed, so they were level across the site  
19 and located closer to ground surface. Some as  
20 shallow as two feet below ground surface.

21 Given these depth intervals, there is the  
22 potential for deeper lines to be exposed to ground  
23 water more than just seasonally. Can you go back.

24 Also, little water was found in the  
25 pipelines. During the remedial investigation 20

1 pipeline locations and 31 manholes were identified  
2 for water and sediment sampling. Sixteen of the  
3 pipeline locations and eight manhole locations  
4 were found to be dry. The fact that little water  
5 was found in the pipelines across the site could  
6 indicate that the lines are in relatively good  
7 shape because it does not appear that ground water  
8 is seeping into them. Despite the fact that  
9 little water was observed in the on-site  
10 pipelines, water that was encountered was assumed  
11 to be in direct contact with ground water in the  
12 upper water bearing zone. The ground water plume  
13 maps presented in the RI were drawn to include  
14 pipeline water samples. This assumption is  
15 evident in the ground water plume maps,  
16 particularly in the southeast of the IWCS. The  
17 development of plume maps based in part on  
18 pipeline sample results is highly conservative and  
19 based on additional information that has been  
20 compiled regarding the pipelines, we do not  
21 believe that the water quality in the pipelines is  
22 consistent with water quality in the surrounding  
23 aqua firm. And this will be discussed a little  
24 later in the presentation.

25 Now let's take a look at some of the



1 contaminants we've mentioned in comments. Dave.

2 MR. KULIKOWSKI: The remedial investigation  
3 includes several depictions of groundwater plumes  
4 across the site as you see here. It's important  
5 to keep in mind the depictions, they're a snapshot  
6 in time. The plumes are drawn with the data  
7 available at the time that the remedial  
8 investigation was written. The environmental  
9 concentration of contaminants and our  
10 understanding of what the data is telling us  
11 changes over time. Plumes can change over time as  
12 you get more data. The picture on this slide  
13 shows the sitewide radiological groundwork  
14 developed by the remedial investigation and  
15 they're overlaying with a footprint of historic  
16 site operational areas and these are pre IWCS type  
17 areas. It's important to note that the location  
18 of existing groundwater plumes corresponds closely  
19 with the areas of the storage site operation  
20 particularly in the area around the IWCS. So this  
21 suggests that the plumes that appear to be  
22 emanating from the IWCS, you know, if you see the  
23 maps today; are in fact the result of the storage  
24 operation not currently determined by the IWCS.  
25 Let's take a look at several comments received

1 regarding groundwater contaminants at several  
2 locations, we're going to try and focus in on some  
3 of the plumes. The -- we'll talk about the  
4 groundwater plumes southeast of former building  
5 409, and we'll talk about uranium and wet drainage  
6 surface water and plumes locations associated just  
7 to the east of that. And then the groundwater  
8 plume in the northwest corner of the NFSS.

9 Next slide. This slide shows the dissolved  
10 total uranium groundwater plume located southeast  
11 of former building 409. The area shown in green  
12 is the background level, the area shown in yellow  
13 is the drinking water matter. Talk a little bit  
14 about building 409. It's formerly located south  
15 of the IWCS with a secondary water reservoir  
16 associated with a low fresh water treatment plant.  
17 During the building's use as an intermediate  
18 settling basin partially purified uranium known as  
19 yellow cake accumulated in building 409. In 1985,  
20 after removal of the yellow cake, building 409  
21 underwent a contamination operation in high  
22 pressure water. Building 409 was then demolished  
23 and the rubble was filled with concrete and  
24 covered with backfill to a minimum depth of two  
25 feet. During demolition the pipelines in building

1 409 were cut and some of the sections removed.  
2 Some or all of these past activities may be  
3 responsible for the uranium levels now evident in  
4 the building 409 area. Now looking at the  
5 configuration of a plume. Building 409's plume  
6 was drawn with the dissolve toward uranium data  
7 for monitoring wells, temporary well points and  
8 manholes. The plume extending north and east was  
9 drawn based on uranium concentrations from one  
10 temporary well point, and water within an existing  
11 manhole, and the manhole was on a sanitary  
12 pipeline. The plume is drawn assuming that it was  
13 tracking a ten inch potable waterline which was  
14 left in place. The manhole water was not in  
15 direct contact with groundwater, but for plume  
16 delineation it can certainly be assumed to be. So  
17 in researching this plume, it was found that the  
18 concentration of dissolve for uranium at the  
19 temporary well point, that TWPA 33 in the center  
20 of the plume had been mis-reported by the lab, the  
21 actual concentration is ten times lower than what  
22 was reported in the remedial investigation. So  
23 the configuration of this plume is probably overly  
24 conservative because it was drawn assuming that  
25 pipeline water was in direct contact with

1 groundwater. If we update the data and look at  
2 the plume maybe today, next slide. So, if we do  
3 a couple of things, if we correct the uranium  
4 value at the temporary well point, bringing it ten  
5 times lower, remove the concentration from the  
6 manholes, you know, we'll assume that they are in  
7 direct contact with groundwater, and include more  
8 recent environmental data, this is what the plume  
9 would look like today. So, again they are  
10 snapshots in time, but with changes you get more  
11 data. Next slide.

12 All right, at the meeting back in May it was  
13 noted that the concentration with resolve towards  
14 uranium in the groundwater plume west of the IWCS  
15 seemed to correlate with the elevated  
16 concentrations of total uranium in the west  
17 drainage ditch surface water. So concern was  
18 expressed that the remedial investigation had  
19 misrepresented the distribution of total uranium  
20 west of the IWCS and that groundwater might  
21 actually be discharging on surface water. However  
22 there does appear to be some correlation between  
23 the levels of total uranium and surface water and  
24 groundwater west of the IWCS. Several lines of  
25 evidence suggest otherwise, so these include the

1 pattern of uranium distribution in surface water  
2 and groundwater, the concentrations of uranium  
3 measured and other potential sources of uranium.  
4 So let's look at each of these points.

5 Next slide. All right, the next slide shows  
6 the results of the uranium groundwater plume  
7 located west of the IWCS as well as the total  
8 uranium concentrations measured in west surface  
9 water, the areas in green, the background, the  
10 areas in yellow exceed the potable water standard.  
11 So the concentration in surface water those are  
12 the underlining values. So let's look at the  
13 pattern of uranium distribution. The first thing  
14 to note is that the concentrations of total  
15 uranium measured in the west drainage ditch  
16 surface water, the variable along the ditch, they  
17 range from 9.9 to 48.3 micrograms per liter with  
18 no obvious concentration uranium. So the uranium  
19 could have come from several sources rather than  
20 a single source with gradually decreasing  
21 concentrations moving away from a groundwater seep  
22 or some other discrete source. Next. Note that  
23 the concentrations of dissolved total uranium in  
24 groundwater, they decrease as we move westward  
25 away from the IWCS, and that the concentration of

1 total uranium detected in several wells in the  
2 plume in the west drainage ditch are below  
3 background levels. It's also important to note  
4 that the potential for west drainage ditch  
5 including the groundwater -- (Inaudible he moved  
6 away from podium.) -- it's inconsistent with the  
7 relative global ability of uranium and --  
8 (Inaudible he moved away from podium). Now let's  
9 talk about measured concentrations. Since no one  
10 is expected to use the west drainage surface  
11 water, the concentration of total uranium in the  
12 west drainage in the surface water was compared to  
13 the surface water level, so the drinking water  
14 standard was used as a point of comparison for  
15 groundwater data, noting again the concentrations  
16 in western most wells are not only below the  
17 drinking water standards but also below the  
18 background levels for total uranium. Let's talk  
19 about other uranium sources. Radioactive R-10  
20 storage pile was left uncovered and unprotected in  
21 the air for a number of years. Wind erosion and  
22 runoff likely contributed to this contaminate  
23 migration, the object involved was now with the  
24 IWCS. So, since this graphic was drawn, we see an  
25 decrease in concentration of uranium to the west

1 bank of surface water. (Inaudible due to problem  
2 with machine.) -- And finally based upon Dr.  
3 Gurgella's (sic) comments in May, about the  
4 potential for interconnection of surface water in  
5 west ditch and groundwater, the Corps has added  
6 free sampling -- Inaudible) -- that will be  
7 reported in the 2008 technical memo. Next slide.  
8 In that May meeting (Inaudible because of problem  
9 with machine) and the northwest corner, was  
10 migrating off the northern corner of the NFSS.  
11 The location of the plume also corresponds to the  
12 operational (Inaudible) -- the current plume  
13 configuration does appear to -- Inaudible -- NFSS  
14 property to the north, however this plume was  
15 drawn using relative entry data points. And  
16 additional investigation for this area is  
17 currently being planned. All right, now we're  
18 going to move on to the (Inaudible problem with  
19 machine) -- IWCS. The remedial investigation  
20 used non obtrusive study techniques to maintain  
21 IWCS integrity and insure water safety, so there's  
22 no intrusion of the IWCS. The geophysical results  
23 that were conducted indicate no short term  
24 competency issues. The survey found no major deep  
25 heated fault fracture or geologic or pressure

1 points within that IWCS area. So in addition to  
2 the geophysical survey results, we also have  
3 several other indications of --(Inaudible) in the  
4 IWCS. Provided that the clay path has been ---  
5 (Inaudible) -- So the currently monitored  
6 groundwater concentrations at 18 locations at the  
7 NFSS with 12 surrounding the IWCS. Data from  
8 these wells indicate only seasonal variation of  
9 uranium near the IWCS. If the IWCS is in breach,  
10 we can expect to see an increase in groundwater  
11 concentration trends. In addition to the  
12 groundwater monitoring ongoing environmental  
13 surveillance activities also measure the readings  
14 of radon gas and gamma radiation from the IWCS.  
15 And we're finding further evidence for the --  
16 (Inaudible) -- we don't see evidence of  
17 groundwater contamination from the IWCS into the  
18 lower water -- (Inaudible) Now moving on to  
19 radiological concerns.

20 MS. KREUSCH: Dave, before you move on, could  
21 you talk a little bit louder.

22 MR. KULIKOWSKI: Okay, I'm done now.

23 MS. SERAZIN: Okay, since our meeting back in  
24 May, we had -- there were several comments  
25 regarding several radiological issues including



1 sitewide contamination with cesium 137, the  
2 storage of materials from the Nosatomic (sic)  
3 Power Laboratory at the NFSS site and concerns  
4 regarding how radiological background levels were  
5 determined for groundwater. Let's start with some  
6 background information on nuclear physics.  
7 Nuclear fission can occur naturally, but typically  
8 occurs in nuclear reactors or following a  
9 detonation of a nuclear weapon. Nuclear fission  
10 occurs when a (Inaudible) bomb strikes the nucleus  
11 of a large atom such as uranium. The neutron is  
12 at first absorbed into the nucleus and creates an  
13 unstable atom, that unstable atom quickly breaks  
14 up releasing energy and then it continues. The  
15 majority of radiological constituents present at  
16 the Niagara Falls Storage site include members of  
17 the massively occurring uranium, thorium and --  
18 (Inaudible) -- these radial nuclides are found in  
19 the natural ores that were brought to the Niagara  
20 Falls Storage site. To effect the possibility  
21 that fission contaminated materials have been  
22 stored at the Niagara Falls Storage site, the  
23 remedial investigation included a sitewide  
24 evaluation of fission byproducts including cesium  
25 137, cobalt, plutonium, americium (sic) 241 and

1 isotopic uranium. The radials of the various  
2 uranium isotopes were evaluated for evidence of  
3 enrichment. As part of the environmental  
4 surveillance program analyses for cesium 137 and  
5 plutonium will be added to three wells where  
6 cesium 137 was previously detected. In addition  
7 the remedial investigation included 68 data points  
8 of plutonium 239 in soil. But since the remedial  
9 investigation was completed an additional 17 data  
10 points of plutonium in soil were found. However,  
11 these data points show no detectable plutonium in  
12 any of these additional 17 samples. Next. At the  
13 May meeting concern was expressed regarding  
14 sitewide contamination with cesium 137. Cesium  
15 137 is a nuclear fission product with worldwide  
16 distribution due to fallout from atmospheric  
17 testing of nuclear weapons. Between 1945 and 1980  
18 over 500 atmospheric nuclear weapons tests were  
19 conducted at various sites around the world. This  
20 map shows ambient levels of cesium 137 for the  
21 lower 48 states due to atmospheric testing of  
22 nuclear weapons. So it's pretty much -- it's out  
23 there, it's everywhere. Most remedial  
24 investigation samples analyzed from radiological  
25 constituents included analyses for cesium 137. In

1 fact cesium 137 was analyzed for and over 800 soil  
2 samples. So we have an abundance of analytical  
3 results of cesium 137, and the distribution of  
4 cesium 137 in site media is well characterized.  
5 From this area we can see that the concentrations  
6 of cesium 137 at the Niagara Falls Storage site  
7 are higher than specific background levels, and  
8 are greater at best than in surface soil. Since  
9 the concentration and distribution of cesium 137  
10 at NFSS is not consistent with what we usually  
11 expect to see from nuclear -- from atmospheric  
12 fallout, cesium 137 was identified as a potential  
13 concern. Although the sources of cesium 137 are  
14 not clear, potential risk due to exposure to  
15 cesium 137 will quantify by the baseline  
16 reference, and cesium 137 was identified as a  
17 radio nuclide of concern for the most conservative  
18 receptor in several of the exposure areas. These  
19 areas of contamination will be further addressed  
20 in the feasibility study. The Nosatomic (sic)  
21 Power Laboratory is based in upstate New York and  
22 is a world class research and development facility  
23 dedicated to the development and support of  
24 nuclear propulsion technology for naval reactors  
25 aboard US Navy ships and submarines. The photo

1 here is a picture of the USS Monolith which is the  
2 world's first nuclear submarine. Although limited  
3 records are available, we do know that between  
4 1952 and 1954 wastes generated at the Nonsatomic  
5 Power Lab were shipped to the NFSS. Material  
6 shipped to the NFSS included small fractions of  
7 containers with -- plutonium and radioactivity.  
8 A large majority of the radioactivity in this, is  
9 material like cesium 137, and only a small  
10 fraction of the material contained residual  
11 plutonium. Several materials were originally  
12 stored near a railroad far north of the NFSS, but  
13 was later moved to onsite location. These  
14 materials were transferred to the Oakridge burial  
15 ground during the late 1950's and low level  
16 combustible waste was burned on site. Records  
17 will indicate that no plutonium barium waste or  
18 unmarked waste was burned on site. The final  
19 radiological concern regards the methods used to  
20 determine background concentration in ground  
21 water. Background brown water samples were  
22 collected at 26 locations along the boundary of  
23 the LOOW site and on modern landfill property.  
24 These locations were selected because they are off  
25 site up gradient from the NFSS, and I believe to

1 be un-impacted by site operation. These locations  
2 I believe to be representative of onsite  
3 conditions because they are drawn from the same  
4 geologic material. The further you move away from  
5 the site, the more likely it is that the geology  
6 and background conditions would be different. So  
7 review of historical news documents on background  
8 locations were also conducted and the rationale for  
9 the selection of the background sample locations  
10 as presented in the remedial investigation report.  
11 For data that accurately portrayed background  
12 conditions, the data must be free from other  
13 contaminate sources. Elevated concentrations of  
14 the background location would project the  
15 potential for other impacts and could cause the  
16 elimination of a well from the background data.  
17 Without other sources of contamination analytical  
18 results are back on data and are expected to be  
19 fairly uniform. In regards to uniformity in  
20 background data says that statistical tests were  
21 conducted. Groundwater data from two wells  
22 located near a rail on the modern landfill  
23 property were determined to have out water  
24 concentrations of uranium. The same approach was  
25 used for all other background media including

1 surface soil, subsurface soil, sediment and  
2 surface water. Next. The final focus of comment  
3 and we may be able to get additional access to  
4 information. And now Bill Kowalewski is going to  
5 give you some information.

6 MR. KOWALEWSKI: First, full copies of these  
7 reports are available in the Youngstown Lewiston  
8 libraries and we've also, due to the volume of  
9 information, taken just the text of these  
10 documents and made it available on our Buffalo  
11 District website, so you can get that on-line, if  
12 you want the basic text and narrative of the  
13 reports without all of the figures and all of the  
14 accompanying tables. Next slide.

15 To kind of go back to the time line and where  
16 we are headed from tonight, this is a snapshot of  
17 the project schedule as we know it today. It is  
18 subject to change due to a lot of variables.  
19 Funding is an issue. Contracting is an issue.  
20 The outcome of the remedial investigation and  
21 whether or not there's an addendum or additional  
22 work is an issue. But overall, what we have  
23 mapped out for you is that the Feasibility Study  
24 which is the next major product to come out of the  
25 Corps, which identifies and evaluates the

1 potential long-term remedies for this site, is  
2 scheduled at this point to be completed late in  
3 2010. The next step in the process, which we  
4 assume at this point will take place about a year  
5 later, is the proposed plan.

6 The proposed plan is the document in which  
7 the Corps of Engineers will offer its suggestion  
8 for the long-term remedy to be implemented at the  
9 site. Based upon our professional judgment and  
10 review of all the data to date, that is where we  
11 will recommend what should happen with this site.  
12 There will be several public meetings involved  
13 with that. There will be a dedicated review  
14 period and public comment period, and we will go  
15 through much the same process we are here tonight.  
16 We will take that public input in and evaluate it,  
17 and ultimately after that input has been evaluated  
18 we have the option of going back and doing more  
19 studies at the feasibility stage, or proceeding  
20 forward and selecting a remedy to be implemented.  
21 That remedy we would document in something called  
22 a Record of Decision, and that is essentially the  
23 Corps' final answer on what will happen with the  
24 site.

25 And that is on track now, as best we can

1 tell, for about a year after the proposed plan  
2 comes out.

3 The earliest that we would see actual  
4 physical re-mediation start at the site in our  
5 estimate now would be 2013. And that would  
6 include the remedial design effort as well as  
7 field work. And then for some period of time  
8 after that, and it depends largely upon the remedy  
9 that is selected, we would execute the clean-up  
10 action and go into a long-term monitoring scheme.  
11 Next slide.

12 Okay. So what's next. Kind of going back to  
13 where we started. We have received again 234  
14 comments to date and we do expect more comments in  
15 and we are going to continue to accept public  
16 comment on the investigation report. We are going  
17 to address all those questions and assess the need  
18 for any additional investigative work where we  
19 have essential data gaps that are required to  
20 proceed with the Feasibility Study. That will  
21 begin, as I mentioned before, in about mid  
22 October, and we would like to have that data gap  
23 analysis done by the Christmas period.

24 Following that, we will begin, restart work  
25 on the Feasibility Study with a work plan on which



1 we will seek public input. This will provide  
2 additional detail on the process by which we will  
3 develop the Feasibility Study and continue our  
4 outreach program with that study. We have adopted  
5 a new project delivery process for the Feasibility  
6 Study. Rather than come out in 2010 with another  
7 large volume for people to read and digest, we  
8 have broken this study down into its components,  
9 and we are going to work on those sequentially.  
10 We are going to release them as we develop them.  
11 And each release will incorporate its own public  
12 outreach and participation element so that by the  
13 time we get to the end of Feasibility Study in  
14 2010 there really should be no surprises. I mean,  
15 much of this work will have been released,  
16 discussed, re-evaluated and completed as we do it.

17 And of course, throughout this whole process  
18 as long as the Corps of Engineers is still working  
19 on this site, we are going to continue with our  
20 site maintenance, site security and environmental  
21 monitoring and reporting at the site. Okay. Next  
22 slide.

23 Before we move into the question period I'm  
24 going to let Arlene step in and speak to how we'll  
25 handle that. I realize that I had neglected to

1 introduce some of our team members early on, and  
2 now might be a good time to do that because I do  
3 expect them to be standing up engaging you on your  
4 questions. So I'd like the Corps project team  
5 members to just please stand quickly as I  
6 introduce you so folks know who they're speaking  
7 to in questions and answers. I again am Bill  
8 Kowalewski, the program manager for all the  
9 projects at the Niagara Falls Storage Site and the  
10 Lake Ontario Ordinance Works. Duane Lenhardt is  
11 the project manager who has joined us this year  
12 and is working specifically on projects with  
13 Niagara Falls Storage Site. Michelle Rhodes is  
14 our project engineer on the Niagara Falls Storage  
15 Site and our technical lead. Dr. Judy Leithner,  
16 she's our regional technical specialist on  
17 chemical and nuclear processes. Dr. Karen Keil is  
18 our ecological and human health risk assessor.  
19 Bill Frederick standing in the back is our lead  
20 hydrogeologist. Of course you've met Arlene  
21 Kreusch, our outreach specialist. There you are.  
22 And key members of our contract team. You've met  
23 Halle Serazin and Dave Kulikowski. We have Tom  
24 Hydcek (sic) from Petrotech. From Hydrogeologic,  
25 Eric Evans, Don DeMarco. They are hydrogeologists

1 and ground water monitors. And also Mr. John  
2 Peterson from the Argonne National Laboratories.  
3 He has a great deal of experience and a great deal  
4 of historical knowledge about the site. Okay.  
5 Arlene.

6 MS. KREUSCH: Thank you, Bill. It's very  
7 important for us to be able to record your  
8 questions and comments tonight, so we've asked our  
9 court reporter to actually pass the microphone  
10 around to the audience so instead of just asking  
11 your question, could you raise your hand first so  
12 that he can find you in the audience and pass the  
13 mike to you to ask your question. Also I just  
14 wanted to let you know that there are copies of  
15 tonight's presentation at the back table if you  
16 didn't pick one up when you came in. There are  
17 also copies in the red folders of the presentation  
18 that was given in May, in case you didn't make it  
19 to our May meeting, so that you'll have all of  
20 that background information. There are CD's of  
21 both the May presentation and tonight's  
22 presentation also at the back table when you go  
23 out.

24 Also, if you are interested in being on our  
25 mailing list, make sure that you sign the sign-in

1 sheet on your way out if you didn't sign it when  
2 you came in, and we have an electronic list  
3 service that we have also, so if you would like to  
4 receive those, please give us your email address.  
5 There are comment cards on the table. If you have  
6 any questions but you don't want to ask them in  
7 front of the large audience tonight you can write  
8 your question on the comment card and put it in  
9 the feedback box that's in the back of the room so  
10 that we can -- and we will address those questions  
11 that we get on the website, so you will get a  
12 response to those.

13 And with that I'm going to start the question  
14 and answer part. I just ask that we have one  
15 person at a time. I ask that you wait for the  
16 mike to get to you, and I also ask the team  
17 members that are responding to questions to come  
18 up to the mike that's over here to respond so that  
19 everyone can hear what everyone has to say. Amy.

20 MS. WITRYOL: I should say my name first.  
21 Amy Witryol. I don't have -- I don't want to take  
22 up all the time that's necessary to ask questions  
23 or comments on the 40 slides. I think it's a good  
24 example as to why we need a Restoration Advisory  
25 Board, so that we can have real technical dialogue

1 on each one of these items. My first question is,  
2 since you covered a lot of the comments that Ann  
3 Roberts made, will the contractors' narratives to  
4 the slides be available to us, could you send it  
5 out to us electronically so I could share that  
6 with Ann?

7 MS. KREUSCH: The narrative is on the CD.

8 MS. WITRYOL: Oh, the narrative is on the CD.  
9 Great. Thank you. Just very quickly, again, this  
10 format underscores why the community is, in my  
11 view, crippled by not having the Restoration  
12 Advisory Board. For example, the slides on the  
13 Nosatomic (sic)Power Laboratories, those  
14 conclusions could not have been reached based on  
15 all the documentation that we have, so I'm  
16 concerned that your contractors don't have  
17 complete documentation, and if in fact they do  
18 have documentation that shows what was in all of  
19 the drums that came, and can document for us the  
20 amounts of plutonium that came, that would  
21 certainly be new documentation that has not yet  
22 been shared with the community. Background  
23 locations, in and of itself, looking at each  
24 location and the historical documentation we have  
25 on which of those wells were impacted and which

1 weren't, this isn't the forum to have that  
2 exchange and that dialogue. Particularly where we  
3 have a wide variety of experience in terms of  
4 familiarity with the massive amounts of 60 years  
5 worth of documentation on the low side, so I would  
6 urge the Army Corps to re-engage the Restoration  
7 Advisory Board, make your contractors available to  
8 speak with those residents who are very -- have  
9 spent many years looking at documentation to be  
10 able to have the exchange so that when we get to  
11 a public forum it can be more effective and  
12 certainly for folks in the community who are more  
13 interested in kind of a higher altitude  
14 discussion, they don't have to sit here and listen  
15 to the technical exchange.

16 And the last point that I wanted to make is  
17 not to diminish the efforts that the Army Corps  
18 has made at the LOOW site for the last 20 years  
19 because they more than any other agency have at  
20 least done something to clean up the LOOW site  
21 while the New York State DEC has made a bigger  
22 mess of this site for the past 40 years. And  
23 hopefully there will come a time, hopefully very  
24 soon, where the Army Corps may decide to re-engage  
25 its Restoration Advisory Board, and if it does, I

1 would encourage the EPA to send technical folks,  
2 not a public affairs representative, who we  
3 welcome and appreciate at RAB meetings, but to  
4 engage the community in dialogue instead of having  
5 that dialogue with the Army Corps behind closed  
6 doors. And I would especially encourage the New  
7 York State DEC to engage the Restoration Advisory  
8 Board in good faith. Based on form requests, I  
9 have the DEC over many years telling the  
10 Restoration Advisory Board one thing and telling  
11 the Army Corps another thing, or not telling the  
12 community members on the Restoration Advisory  
13 Board anything at all. And that has got to  
14 change. If the DEC is having discussions with the  
15 Army Corps behind closed doors, the EPA technical  
16 people are having it behind closed doors, the  
17 community is disadvantaged, and we truly feel that  
18 if everyone is looking at the same information at  
19 the same time and we have genuine dialogue, then  
20 all of the agencies can make a decision, whether  
21 we agree or disagree, that's a better informed  
22 decision. And that's what the objective is, the  
23 objective of the community is, because we need  
24 your best decisions because literally our lives  
25 depend on it with the nature of the material

1 that's here. Thank you.

2 (Applause.)

3 MS. KREUSCH: Did you want to say anything or

4 --

5 MR. KOWALEWSKI: I think we've captured all  
6 of that. You know, we recognize the level of  
7 interest and expertise out there in the community  
8 and on these technical issues, I mean, the way we  
9 do business within the Corps and with the  
10 agencies, to provide the openness and a complete  
11 and clear record of the issue, the question, the  
12 concern, and the Corps' response, is to do what  
13 we're doing here tonight and to put all of that in  
14 writing and make it available to everybody. So we  
15 are going to be addressing all of these points.  
16 I'm not going to get into a debate about the RAB  
17 forum, whether it exists or not. We've spent  
18 many, many hours at the senior level discussing  
19 that issue with some of the leadership of the  
20 community group. We've been there and we can  
21 engage the community through an active outreach  
22 program where we just launched a community  
23 assessment, a request for your input, because the  
24 Corps has to plan, schedule and budget its project  
25 dollars and balance the needs of the project, the



1 needs of the community, and figure out what  
2 activities we're going to support over the coming  
3 year or two in the public outreach program.

4 There's many other issues that were raised  
5 technically that I think we will respond to in  
6 writing.

7 MS. WITRYOL: Does the agency have  
8 conferences with the Army Corps outside of the  
9 public? Are you saying that there is no  
10 communication between the agencies?

11 MR. KOWALEWSKI: Absolutely not. I mean,  
12 it's expected that agencies are going to  
13 communicate with each other and discuss project  
14 issues. We come out, we do that with the public,  
15 we do it with land owners. We've got a huge  
16 audience of people to deal with.

17 MS. WITRYOL: We're looking for transparency  
18 and quality of transparency. We certainly hope  
19 that all of the agencies will seek a better level  
20 of public participation and not exclude the public  
21 from that dialogue and that conversation. Tonight  
22 is not a dialogue. It's a presentation and a Q.  
23 and A. They're allowed to have dialogue with you.  
24 We can't.

25 MR. KOWALEWSKI: That's not true, Amy. And

1 I don't think that tonight is just some kind of a  
2 charade. This is meaningful. This is us coming  
3 out to the community and putting our presentation  
4 in public and getting these issues captured, and  
5 we are going to do so in a very clear and  
6 deliberate and written record so there's no  
7 question about what the Corps' position is on  
8 these issues.

9 MS. WITRYOL: But for example, Ann Roberts is  
10 not here, and she won't have the opportunity to  
11 address these technical issues which you've just  
12 told me you'll respond to in writing. So again,  
13 it's the dialogue that the community is looking  
14 for, both in this public forum so everyone, a wide  
15 audience has an opportunity but also in a small  
16 forum where the experts have the opportunity to  
17 talk to you about each slide, rather than be  
18 funneled into 45 minutes on 40 slides and not even  
19 having, you know, all of our community experts  
20 here to participate on, you know, on the one night  
21 where we have the opportunity, versus the agencies  
22 who can schedule a conference call with you  
23 anytime. So I'd appreciate it, and go forward.

24 MS. KREUSCH: Thank you, Amy. Okay. Next.  
25 Tim.

1 MR. HENDERSON: Tim Henderson, H-E-N-D-E-R-S-  
2 O-N. You mentioned on one of the slides that you  
3 weren't holding the ground water near the west  
4 drainage ditch to potable water standards, that  
5 potable water standards didn't apply to that area.  
6 I find that kind of troubling given the population  
7 of you know, wildlife in the area. Also, on one  
8 of the maps there's a 42-inch water supply line.  
9 I was curious as to what is the source of that  
10 water that would travel in a 42 inch water line.  
11 And also, what is the material used in the  
12 pipelines. Is it wood, AVS composite or concrete?

13 MS. KREUSCH: Tim, I didn't get your first  
14 question. I'm sorry. I got the phrase what --

15 MR. HENDERSON: There was one slide not  
16 holding the ground water to the potable water  
17 standard, and I found that troubling given the  
18 population of wildlife in the area.

19 MS. KREUSCH: Does anyone from the team have  
20 a response to that?

21 MS. SERAZIN: I can answer the first two  
22 anyway. The question about the potable water  
23 supply, that, what we're comparing that to is  
24 called a maximum contaminant level, and that's  
25 developed under the Drinking Water Act. It

1 assumes that a person is going to drink two liters  
2 of that water every day, and that is their sole  
3 supply of water. And I understand you're  
4 concerned about wildlife in the area, but  
5 typically wildlife don't get all their water from  
6 one supply every single day. So even if they were  
7 using it, they wouldn't, that wouldn't be their  
8 sole water supply. So it's a conservative limit  
9 called the maximum contaminant level, and it  
10 really is for distribution systems, for public  
11 drinking water systems.

12 MR. HENDERSON: But it's known as the western  
13 drainage ditch, it's not the western storage  
14 ditch.

15 MS. SERAZIN: Right, right, and so there are  
16 probably times of the year where it's dry. It  
17 wouldn't even be a water supply. It's --

18 MR. HENDERSON: Yes, but I'm more concerned  
19 about the other times of the year where it's  
20 flowing toward Lake Ontario.

21 MS. SERAZIN: Right, and what it is --

22 MR. HENDERSON: And if there are areas, any  
23 areas at all that are contaminated, how can we be  
24 assured that it's not migrating naturally towards  
25 the lake as ground water does?

1 MS. SERAZIN: Well, we're monitoring the  
2 concentrations in that ditch, and as we indicated  
3 in the presentation, the concentrations peaked  
4 probably right when we were out there disturbing  
5 the ground and getting ready for the remedial  
6 investigation field activities. All the  
7 concentrations in that area have steadily gone  
8 down since that time.

9 MR. HENDERSON: Gone down or gone elsewhere?

10 MS. SERAZIN: Well, we do monitor that area.  
11 We don't monitor the western ditch offsite, but --  
12 and then the question about the 42 inch line, that  
13 was a 42 inch supply line from the river, so it  
14 was originally there with -- a lot of buildings  
15 under the IWCS were waste water, or they were  
16 actually, I'm sorry, drinking water treatment  
17 buildings, so the water was brought in from the  
18 river and it was settled and made clean to potable  
19 standards.

20 MS. KREUSCH: Does someone from the team have  
21 a response to the one about what was in the -- it  
22 was what was in the pipelines or what the  
23 pipelines were made of?

24 MR. HENDERSON: The materials that they were  
25 made out of.

1 MS. KREUSCH: Okay. We'll have to respond to  
2 that in [the](#) response in [the](#) summary. Thank you,  
3 Tim.

4 MS. MULGIVER: Hi. My name is Judy Mulgiver.  
5 Regarding [the](#) last [question](#) was, [the](#) professionals  
6 are here and you guys don't know what it's made  
7 out of? I mean, that's just bizarre, number one.  
8 Also, there was a mention that [the](#) pipes were cut  
9 off and there was concrete and grout oozing off  
10 these pipes, am I correct?

11 MR. KOWALEWSKI: Yes.

12 MS. MULGIVER: What about [the](#) deterioration  
13 of that material? You know, I mean, and how often  
14 were [the](#) tests done on those pipes? Is it  
15 ongoing, is it twice a year? I mean, I haven't  
16 read [the](#) report but I just want to know how often  
17 you do it and if you know, was there is  
18 deterioration of [the](#) concrete and grout that was  
19 used? There were other questions. Okay.  
20 Regarding [the](#) plume, [the](#) picture on [the](#) slide that  
21 you guys showed was from 1981 from DOE, and then  
22 you have reassessment of [the](#) plume. Now, is that  
23 based on [the](#) test you did currently, like in 1991,  
24 and if so, is it a guess or is it actuality?

25 MS. KREUSCH: Okay. Michelle Rhodes is going

1 to answer your questions on that.

2 MS. RHODES: Can everybody hear me? I'm  
3 soft-spoken as well, so. Your first question, you  
4 bring up a valid point. The pipelines as they're  
5 shown on this figure, for example, the areas in  
6 green are actually what was removed. I would say  
7 they grouted the areas, you know, that they had  
8 left there, and the ends of the ones that were  
9 removed. However, we have no way to assess the  
10 quality of that seal now. There's a few things,  
11 so obviously that would be a data gap, so there's  
12 a few things we do to address things like that.  
13 The first thing, when we conducted the ground  
14 water models, we assumed that basically, this  
15 picture here with the clay dykes. We assume  
16 there were no clay dykes. So they're at the level  
17 of conservatism to our models. There was an issue  
18 brought up about the integrity of the pipelines  
19 and could there be you know, potential transport  
20 issues. This document that we had found, the pipe  
21 scheduling, shows the removal, and it was really,  
22 you know, they were very deliberate in how they  
23 removed the lines. They wanted to make sure they  
24 removed the areas before they constructed that  
25 clay dyke around it. I guess what we were trying

1 to show in that one slide with the uranium plume  
2 is there was a concern raised that, is the  
3 contamination from the southern area -- is the  
4 integrity of the dyke intact.

5 There's a couple things that we did to sort  
6 of insure that. However, there's always  
7 uncertainties associated with site data. The  
8 first again is, we assumed there was no dyke in  
9 the model. The second is, there was a report  
10 issued by the Department of Energy in the early  
11 80's, before the interim waste containment  
12 structure was actually built. And at that time we  
13 identified the areas east and south of building  
14 409 to be contaminated. And what we wanted to  
15 show by that slide is, our recent data for the  
16 uranium plumes is consistent with that location.  
17 So basically we found what we thought we were  
18 going to find, and that that plume is more likely  
19 the result of past contamination before the IWCS  
20 was even built, than leaching from the IWCS  
21 through the clay dykes.

22 Additionally, we do the Environmental  
23 Surveillance Program, and we do have a well that's  
24 you know, very close to building 409 and also  
25 close to the south dyke, and we measure that, we



1 actually increased our measurement of that.  
2 Originally we did it annually. We increased that  
3 to in the spring and in the fall. So it's when  
4 water is highest and when water is the lowest, to  
5 keep a closer eye on that.

6 MR. GIANNETTI: My name is Bob Giannetti, G-  
7 I-A-N-N-E-T-T-I. I want to address the format of  
8 the meeting just briefly again. I came here at  
9 6:30, which was the announced time. It didn't  
10 start until 7:15. There was a lot of milling  
11 around and I question to what purpose. And I  
12 think that the exhibits that people were looking  
13 at could have been better contemplated and  
14 appreciated after the presentation, which would  
15 have provided -- which would have provided some  
16 sort of context, and I don't feel there has been  
17 sufficient context displayed in this meeting.  
18 There are undoubtedly many, many other questions  
19 that have to be addressed and I wish we had the 45  
20 minutes at the start of this program to actually  
21 talk about those things. As to the format, I  
22 think it's, if you make a presentation, all  
23 information is selective -- all information  
24 transmission is a selective activity. It seems to  
25 me that the Corps has made the selection. How

1 about turning the process around. Whether you use  
2 whatever intermediary or whatever facilitation  
3 process, you need to get comments and concerns on  
4 the table from people in the general public before  
5 you start dispensing information. That's the share  
6 and that's what I believe Amy Witryol was talking  
7 about, that's been totally inadequate at this  
8 meeting. And it's such an important issue that  
9 it's very disturbing to me. And I really would  
10 hope that the next time there is a meeting  
11 announced for 6:30 that we actually start at 6:30.  
12 Thank you.

13 MS. KREUSCH: Thank you. I'm going to  
14 address part of that. We just recently announced  
15 that we were performing a community assessment and  
16 we really would like to hear from the community  
17 what format they would like us to interact with  
18 them in when we -- so please write us or call us  
19 or email us and let us know how you want to hear  
20 from us, how often you want to hear from us, what  
21 mechanism you want us to use to give you  
22 information, to provide us with feedback. We  
23 really want to develop an outreach program that  
24 meets the needs of the community. Thank you.

25 MS. TOWER: I'm Harriett Tower, T-O-W-E-R.

1 I'm a member of the community here. I don't have  
2 any particular expertise. I'm here to try and  
3 learn. I find it a very slick presentation. I am  
4 very offended by the fact that our community  
5 members who have the expertise have been not  
6 allowed to participate in the way that it was  
7 normally set up. These are the people we trust.  
8 These are people we turn to when you're asking for  
9 feedback right now. As in your last questions,  
10 the feedback, that's what we want. We want our  
11 people that have studied this on our own, our own  
12 chemists our own people that are looking at  
13 things, to be able to correspond with you and not  
14 be shoved off and shut up. That's what we want.  
15 And my other question had to do with the activity  
16 at the bottom of that facility. How on earth are  
17 you ever going to test it and see how it is, if  
18 there are cracks developing or if anything is  
19 there? You have no way of doing that without  
20 disturbing whatever else is supposedly supposed  
21 to be intact.

22 MS. KREUSCH: Thank you. Michelle, do you  
23 want to address the --

24 MS. RHODES: It's obviously a great concern  
25 that you bring up. Obviously our biggest concern

1 is the IWCS integrity. That is mainly what our  
2 focus is on the site. What it houses is very  
3 special and we want to make sure it stays there  
4 obviously until it's decided what the permanent  
5 solution is. But we basically have, as I  
6 mentioned before, the Environmental Surveillance  
7 Program, and that's sort of the way we monitor the  
8 integrity of the cap. And that's another reason  
9 why based on this RI that we actually increased  
10 our frequency of monitoring. We originally would  
11 sample once a year. We have a network of ground  
12 water wells surrounding the cap and we sample that  
13 regularly. We originally, like I said, sampled  
14 annually. We changed that to twice a year. So  
15 anything that would be even coming straight out  
16 through the clay dykes while we have lower ground  
17 water wells, but if it went down and out that  
18 way, it would be detected during that program.  
19 All the samples that we collect as part of that  
20 Environmental Surveillance Program. It's  
21 published annually and a report is available and  
22 it highlights all the results and the conclusions  
23 based on it.

24 MS. ROLAND: I'm Mary Ann Roland.

25 MS. KREUSCH: Wait a minute. Wait a minute.

1 Can we take the question from Mary Ann before we  
2 go back to -- let him bring the microphone to you.

3 MS. ROLAND: I'm questioning whether you test  
4 anything off-site at all. You have shown the  
5 plumes on your map but they're only the plumes  
6 that are on the site, and I'm wondering if you  
7 have reports from the community of plumes that  
8 have been shown or surfaced away from the site,  
9 towards the lake. I know of one example that was  
10 very disturbing to me, that surfaced on a person's  
11 property that was kind of covered up. We had  
12 several people look at it and it was tested by a  
13 chemical engineer, and nothing was reported. It  
14 was hush hush, and it was a person whose wife,  
15 actually two wives had died of cancer on his  
16 property. And so the contamination is very  
17 evident. Now whether it came from the CWM site or  
18 whether it came from the LOOW site, I mean  
19 actually they kind of overlap in some places  
20 there, but has there been any testing of any  
21 places off-site?

22 MS. KREUSCH: Is there someone from the team  
23 that can respond to that?

24 MS. RHODES: I guess from the Niagara Falls  
25 Storage Site perspective, there's two areas that

1 we have focused on for potential off-site  
2 additional sampling. One is the northwest, north  
3 of the northwest portion of property where we show  
4 the uranium plume being close to our site  
5 boundary. Obviously we want to make sure that we  
6 define the extent of that. The other is as we  
7 talked about last time, is the potential for the  
8 interconnection between ground water in the west  
9 drainage ditch, so we've added three sample  
10 locations as part of our environmental  
11 surveillance to address that. I'm not familiar  
12 with what, I guess it was a chemical of some type  
13 that this individual had. I know and maybe Paul  
14 Dickee can elaborate a little, the Niagara County  
15 Department of Health did a youngs (sic) survey,  
16 and subsequent sampling of residential wells and  
17 maybe he could fill us in on the results of that.  
18 I don't know if that was part of the study or not.

19 MR. DICKEE: My name is Paul Dickee. I  
20 attempted a well study in the Towns of Lewiston  
21 and Porter below the escarpment. We wanted to  
22 identify active working wells and find out who was  
23 drinking ground water and find any wells that were  
24 sample able, and we did -- I don't remember the  
25 exact numbers. There weren't very many. Maybe

1 around a dozen or so that were sampled. There  
2 weren't really any contaminants of concern that  
3 were identified. The results of the study are  
4 published upon our Niagara County website if  
5 anybody wants to take a look at them. That's  
6 Niagaracounty.com/health. And you can check that  
7 out. It was really an interesting exercise but we  
8 didn't find anything we had to follow up with.

9 MS. KREUSCH: Thank you, Paul. There was a  
10 woman in the back that had a question.

11 MS. MULGIVER: My name is Judy Mulgiver  
12 again. There's a lot of money spent on the work  
13 you're doing and the testing and everything and  
14 like Peter Hower (sic) said, you know, we have  
15 people in our community that are experts. If it's  
16 even possible to consider putting like 5% or 2% of  
17 the money that you guys get for labs to do the  
18 testing that is necessary or look at the mounds of  
19 paperwork that you guys provide, you know, so, I  
20 just feel that you guys get paid for all the work  
21 that you do. We have people in the community that  
22 are spending their time and effort on all this,  
23 and I just feel like there should be something  
24 provided to the community for us to thoroughly  
25 investigate the reports and be able to, you know,

1 pay professionals to do it, because you know,  
2 we're not all scientists, we're not experts, but  
3 we do have some people in RAB, that they are.  
4 Would that even be part of a consideration?

5 MS. KREUSCH: Even if there was a RAB, the  
6 participants would not be paid.

7 MS. MULGIVER: But is there something for the  
8 public where we could have independent people  
9 looking at this stuff?

10 MR. KOWALEWSKI: What I can offer to you now  
11 is that the Corps process, there are several  
12 levels of independent review within the Corps.  
13 People who don't work on the project review the  
14 data and the findings and critique us several  
15 times before we come out with a report like this.  
16 The other agencies involved, like the USEPA, the  
17 New York State DEC, the health agencies, they also  
18 participate in this. I mean, they are public  
19 agencies looking out for the public's health and  
20 safety on these issues. So that is additional  
21 level of review that our reports get. There is no  
22 mechanism for us to fund community members or  
23 independent bodies to do what you described.

24 MS. MULGIVER: I mean, the agencies, State  
25 agencies are strapped already. We know that.



1           There is not enough people to go through the  
2           mounds of problems that we have in this state.  
3           You know what I'm saying?

4           MR. KOWALEWSKI: I understand your concern  
5           and what you're saying. I can't answer for the  
6           State or the other Federal agencies and their  
7           funding or staffing issues but --

8           MS. MULGIVER: You can't share your money  
9           with the public?

10          MR. KOWALEWSKI: No. Ma'am, the way Congress  
11          appropriates money and the way the laws are  
12          passed, to give the authority to the Corps to  
13          conduct these kind of studies just doesn't allow  
14          for that.

15          MS. KREUSCH: Tom, Mrs. Weld in front of the  
16          room has a question.

17          MS. WELD: Thank you. Marin Weld. I want to  
18          say that at my advanced years, I'm not going to be  
19          able to go back to school till we really  
20          understand these engineering reports. I  
21          appreciate the graphics and I want to say that the  
22          Restoration Advisory Board represent me as a  
23          citizen and I'm grateful for their volunteering of  
24          personal expertise, but I want you to realize that  
25          the main word there is advisory, and if you want

1 our advice and our feedback, these are our  
2 representatives that have a background that won't  
3 take up your time like perhaps, you may be  
4 humoring us here. I thought I knew what a plume  
5 was, and so now I just want to be sure that it's  
6 where something is sort of puddled or spread out.  
7 You see where I'm coming from.

8 On one of your maps I also noticed that there  
9 was a great deal of concern about building 409.  
10 And I like the colors that said, we sealed up the  
11 pipes and they were shown in green, and then near  
12 your border you left some sleeping dogs lie and  
13 those pipes were in purple. But I notice that  
14 there's a little section of purple pipe coming out  
15 of building 409 in two places before it got sealed  
16 and drained. And I thought that was rather  
17 interesting and with my limited knowledge of what  
18 I'm looking at, it caught my attention. Thank  
19 you.

20 MS. KREUSCH: Thank you. Michelle.

21 MS. RHODES: Thank you for your comments.  
22 That caught our attention as well. That was kind  
23 of odd to note that there were two lines still  
24 coming out. I think maybe one reason for that,  
25 and I can't speak for the DOE, but as Halle

1 mentioned in [the](#) presentation, that there was some  
2 decontamination in that building and basically [you](#)  
3 [know](#), it was kind of leveled into itself in a way,  
4 for disposal. So maybe they felt that that, it  
5 wasn't a major source of contamination. We were  
6 worried about that in [the](#) RI and we actually did  
7 some additional sampling that surrounded that  
8 building to make sure that that wasn't a source  
9 term. Right. Exactly. And actually it's fairly  
10 clean around it. We had that one hit of 833 that  
11 keeps getting brought up but it was east of a, a  
12 lower hit. So again, it just reaffirms what's in  
13 [the](#) DOE report. I'm not saying that it was  
14 perfectly clean in that area, but definitely that  
15 might [have been the](#) reason behind it.

16 MS. KREUSCH: Karen Allen has a [question](#).

17 MS. ALLEN: I'm Karen Allen and I'm a citizen  
18 of [the](#) area, and my concern is that you work as a  
19 team or you work with layman [individuals](#), but you  
20 work together. And you are asking the community  
21 not to have an organization, not to work together  
22 but to come as individuals, but we all know that  
23 there's more strength in a group than there is in  
24 an [individual](#). So again, I've been part of [the](#)  
25 RAB for seven years and I've put in hundreds of

1 hours, and I just see this as a slap in [the](#) face.  
2 And I just think that you should realize that just  
3 ordinary citizens isn't left behind and you're  
4 also asking us to invest money for copies and  
5 emails and other things that we're doing in order  
6 to communicate with one another in trying to bring  
7 about, to your attention [the](#) things that we think  
8 you should listen to.

9 MS. KREUSCH: Thank you, Karen. Any other  
10 comments, questions?

11 MR. LACAIJCZYK: I'm Tom Lacaijczyk. I just  
12 wanted to address an earlier [question](#). It was a  
13 [question](#) about [the](#) composition of [the](#) pipelines.  
14 In fact, [the](#) composition is described in [the](#)  
15 Remedial Investigation Report, and it's kind of a  
16 complicated answer. There are fresh water lines  
17 there and there's 21,000, more than 21,000 feet,  
18 and it's reported that they're made of cast iron.  
19 And then [the](#) storm water lines, there's 4,000 feet  
20 of those. Sanitary sewer lines, 11,875 feet, and  
21 acid lines or process waste lines, 3,830 linear  
22 feet of those, so that's a lot of pipe. But [the](#)  
23 composition of all of those, storm water, sanitary  
24 and acid sewer lines, it's all reported as  
25 vitreous clay pipe. So that's probably most of

1 what was out there. I just wanted to answer that  
2 question.

3 MS. KREUSCH: Tom, does that answer -- Do you  
4 have a following --

5 MR. LACAIJCZYK: I thought I answered the  
6 question.

7 MS. KREUSCH: Okay. Are there any other  
8 questions? Okay. We'll be right there.

9 MS. WITRYOL: There's a time line of the site  
10 and the facilities, so you're saying all of the  
11 pipes are, I mean, what you just mentioned now,  
12 how about what was done before like 1960? You  
13 know, there's a time line going back to 1943, I  
14 think. I mean, what was used then?

15 MR. LACAIJCZYK: What I described, that was  
16 what was put out there in --

17 MS. WITRYOL: In 1940?

18 MR. LACAIJCZYK: Correct.

19 MS. WITRYOL: Oh, okay.

20 MS. KREUSCH: Dr. Boeck has a question, way  
21 up here, Tom. I'm sorry.

22 DR. BOECK: A few comments. I noticed as the  
23 slides went by a couple things of interest, since  
24 I probably raised the question in the first place.  
25 Slide 15 on the pipelines, I have the same

1 diagram, and it's a missing a major pipeline.  
2 That, in that diagram it doesn't show that there  
3 is a line north of the building 411, which  
4 originally went to the ditch, which probably was  
5 cut when it crossed the clay dyke, but we have no  
6 documentation on it, and there is no documentation  
7 that that line was ever plugged. It went into a  
8 valve pit, and the portion of the line is shown,  
9 but is not shown in that particular diagram. I  
10 submitted that some months ago.

11 Secondly, I'm somewhat disturbed about the  
12 typo involving one of the uranium levels. Our  
13 committee has written several comments on that.  
14 We also suspected it was a typo. I wish you'd  
15 make that information public when you identify  
16 errata which are in the documents and please let  
17 us know because we are spinning our wheels on bad  
18 pieces of data that we suspect may be incorrect,  
19 but we can't establish that on our own.

20 And finally, regarding cesium 137, I have a  
21 paragraph from a local resident who was a high  
22 school student at the time and he was sent out  
23 there to pick up these copper cylinders which were  
24 filled with cesium 137. They were spilled on the  
25 ground and some of them were leaking and they were

1 partially buried, so that is one of **the** sources of  
2 that spot of cesium 137 contamination which is a  
3 known issue.

4 This afternoon as I prepared for this session  
5 I read **the** Corps' website. There's a page on  
6 there entitled LOOW and NFSS frequently asked  
7 questions. I'm somewhat upset that some sections  
8 are actually in error and misleading to **the**  
9 public. The Corps has competent professionals but  
10 someone didn't check what was written on that  
11 site. I have a handout and I won't go through it  
12 in detail. I put my comments in italics and **the**  
13 remainder of **the** text is quoted from Corps  
14 documents.

15 Some of **the** things which came to my  
16 attention, okay, **question** one, tell me more about  
17 **the** interim waste containment structure at **the**  
18 NFSS. Going on through **the** paragraph **the** sentence  
19 says, **the** thickness of **the** cap was calculated  
20 based on **the** percolation rate of radon, such that  
21 by **the** time radon percolates through **the** cap it is  
22 harmless. Comment. Radon remains radioactive.  
23 It is a known cause of lung cancer. It is never  
24 harmless. Okay.

25 C2, is there a buildup of radon gas within

1 the IWCS at NFSS. Okay. It reads, radon is  
2 slowly generated and begins to move through the  
3 five and half feet of compact clay and soil  
4 covering the buried material. Okay. Radon is  
5 continuously generated and it will be for the next  
6 thousands of years. There's nothing slow about  
7 it. Radon has a half life of 3.62 days. That's  
8 incorrect. The half life of radon, which should  
9 have been checked, is 3.823 days. Again, simply  
10 this stuff was not properly read, typewritten or  
11 type checked.

12 The next sentence goes on, referring to  
13 radon. By the time it moves through the soil,  
14 almost all of it is no longer radon, it is  
15 harmless. Again, not correct. Radon decay  
16 produces radioactive lead 210. The result of 200  
17 curies of radium, they produce radon. The radon  
18 in turn moves outward and upward and creates lead  
19 210 when it decays. Neither radon nor lead 210  
20 are harmless.

21 So that what we have above the structure is  
22 a gradual infiltration of radon being converted to  
23 lead 210 so the radioactivity is moving out of the  
24 location where it is and upward into the soils and  
25 a portion of it will make it out to the



1 atmosphere. Okay.

2 This goes on to say, radon emissions from the  
3 IWCS are monitored as part of the Environmental  
4 Surveillance Program and verify this. Okay. The  
5 radon emissions from the soil are sampled one day  
6 out of the year. Radon emissions from soil are  
7 very sensitive to temperature and soil moisture  
8 and other conditions and without information on  
9 the weather conditions for the week previous to  
10 the time the samples are taken, one can't really  
11 interpret the data as to whether they are typical  
12 or meaningful for anything other than the one day  
13 out of the year that they were actually taken.

14 Another section. D1. Question. What  
15 investigations were performed on the IWCS as part  
16 of the NFSS Remedial Investigation? The reply is,  
17 no direct sampling through the protective clay cap  
18 or side clay walls of the IWCS was performed to  
19 insure the integrity of this protective layer was  
20 not breached. Comment. How can you conduct a  
21 valid Feasibility Study without data on the actual  
22 current location and concentrations of that  
23 radioactive sludge that was put in there 25 years  
24 ago? Okay. How can you go forward with  
25 feasibility without knowing what you are working

1 with and where it is? Any remedial action will  
2 obviously open up the cap, so I do not agree with  
3 the contention that it is impossible nor highly  
4 dangerous to sink monitoring wells which would be  
5 sealed and capped properly, in order to get data  
6 on what's happening inside that place.

7 Further on, it goes on to a discussion of a  
8 multi-technology geophysical walkover which used  
9 non-intrusive techniques to infer the condition of  
10 the subsurface below the cap. Okay. I have an  
11 extended comment from the Corps received on April  
12 30<sup>th</sup>. I won't read the whole of it, but it goes  
13 on saying that items for consideration,  
14 geophysical survey indicates no short-term  
15 competency issues within it. Corps acknowledges  
16 that there are limitations associated with this  
17 survey methodology. These limitations are  
18 leveraged to the extent possible by integrating  
19 other geophysical survey methods. This  
20 investigation was not a stand-alone integrity  
21 assessment but used as additional weight of  
22 evidence of our integrity investigation. Comment  
23 on that. This geophysical examination did not and  
24 could not examine the cutoff wall adjacent to the  
25 location where the highest concentrations of

1 radium are stored. Because of the presence of the  
2 building foundations, the geological examination,  
3 geophysical examination was not made in the  
4 locations that are most crucial for our situation.

5 Okay. And again, this section finishes with  
6 a comment, in addition, annual environmental  
7 surveillance was continued to evaluate any radon  
8 emissions from the IWCS cap. Again, I repeat,  
9 radon emissions are sampled one day out of the  
10 year.

11 And another section talks about, and today  
12 they talked about Niagara Falls Storage Site  
13 background locations. Okay. Our radiation  
14 committee has examined this and on the basis of  
15 historical data we have concluded that ground  
16 water samples used, as used, were contaminated by  
17 AEC activities and that background samples should  
18 be only taken on the unimproved sections of the  
19 original LOOW site, excluding the entire NFSS.  
20 Okay.

21 There are too many activities and too much  
22 surface contamination to presume that well  
23 locations on that particular site are actually  
24 background and uncontaminated. Okay. In terms of  
25 the geology of this site, we are looking at an

1 ancient lake bed, ancient, it wasn't really 8,000  
2 years ago it was laid down at the bottom of a  
3 lake. And there's no real reason to believe there  
4 are any significant variations in the geology or  
5 in the presence of natural uranium to take a  
6 location a quarter mile away versus a few hundred  
7 feet away from areas that we know are  
8 contaminated. Thank you for your time.

9 (Applause.)

10 MS. KREUSCH: Thank you, Dr. Boeck. There  
11 were several different issues that Dr. Boeck  
12 raised. One was about radon. Do we have anyone  
13 that would, from the team that would like to  
14 address those comments or will we respond to them  
15 in the respective summary?

16 MS. RHODES: First, thank you, sir. I'm  
17 going to have to take a look at our website again,  
18 make sure things are up date. I just wanted to  
19 clarify, Dr. Boeck mentioned that we take radon  
20 measurements once a year. That is true for the  
21 cap. Basically what we do is, we put 180  
22 activated charcoal canisters, just like you would  
23 if you were testing radon in your basement, put  
24 them directly on top of the cap, leave them for a  
25 full day, 24 hours, and measure what's called the

1 radon flux or how much radon is emanating through  
2 the caps. Historically we've been doing this  
3 since 1982 and we haven't identified anything  
4 above background coming out of the caps.

5 Additionally, we do have radon monitoring on  
6 site. We have two fences, one is surrounding the  
7 waste containment structure and the second one is  
8 our site sign or site boundary sign. We have  
9 radon monitors all along there that we do measure.  
10 They are not real time monitors. They are not  
11 direct measurements that we could go on the web  
12 and see at that moment what they are, but we  
13 collect this data biannually, twice a year we go  
14 out and collect the monitors, analyze them, and  
15 those are -- that data is included in the report.  
16 So I just wanted to clarify that statement.

17 The rest I believe has been informal comments  
18 from Dr. Boeck in the RI's that we'll address in  
19 written response.

20 MS. KREUSCH: Okay. Thank you. Amy.

21 MS. WITRYOL: Amy Witryol. W-I-T-R-Y-O-L.  
22 Just a few clarifications. Bill Kowalewski  
23 referred to several submissions and referred to a  
24 submission of a paper by Bill Boeck. I haven't  
25 seen a paper by Bill Boeck but I have seen a paper

1 that was submitted by the radiation committee of  
2 the Restoration Advisory Board and would  
3 appreciate reference to that document being  
4 accurate. I'd like to thank Bill Boeck for an  
5 extraordinary amount of work and research he did  
6 in helping to put that paper together, but also to  
7 Karen Allen's point, there was collaboration on  
8 that paper. Paul Dickee from the Health  
9 Department reviewed it and provided comments. I  
10 reviewed it and provided comments. Ann Roberts,  
11 who is a chemist and engineer, reviewed it and  
12 provided comments. Becky Zions from CWM Chemical  
13 Waste provided comments. All of them are --  
14 everyone who provided comments on that paper is  
15 credentialed and has a great deal of expertise,  
16 except for me. But I would certainly like to give  
17 Bill Boeck credit where credit is due for leading  
18 the radiation committee for the RAB but I would  
19 ask Mr. Kowalewski that when he receives the  
20 document that is from the Restoration Advisory  
21 Board, that when he references it, he references  
22 it as it was submitted.

23 As far as technical assistance grants are  
24 concerned, I'm not sure if the comments Bill made  
25 were accurate in response to Judy's questions, but

1 their first program has technical assistance  
2 grants that are available. If you are a  
3 restoration advisory board, which every level of  
4 government including all of our agencies with the  
5 exception of the Army Corps do recognize the RAB  
6 as does the Attorney General of the State of New  
7 York.

8 And as for the NFSS it is not out of the  
9 realm of possibility to have the FUSRAP program  
10 make funds available for technical assistance,  
11 even though the Corps would have to bid out the  
12 contracts and the community wouldn't have that  
13 option. When I chaired the advocacy committee, we  
14 worked collaboratively at that time with the  
15 Corps' public affairs officer and did come up with  
16 these options. And so if there were a RAB, we  
17 certainly could do better. Thank you.

18 MS. KREUSCH: Thank you. We are pretty much  
19 out of time. We could take one more question and  
20 then we will adjourn for the evening. Are there  
21 any other questions? One more in the back.

22 MR. KING: Scott King, K-I-N-G. We heard  
23 some information tonight about some changes in the  
24 data numbers on one of the maps and 17 years  
25 plutonium data points, will this information be

1 provided in an addendum or to the RI.

2 MS. RHODES: We're not at the point now to  
3 figure out how that's going to happen, whether  
4 it's going to be part of the response to comments  
5 package or in an RI addendum, but we'll definitely  
6 make sure that's publicly available. The reason,  
7 just to explain a little bit, typically we'd send  
8 samples to the lab and they'd be analyzed for  
9 certain compounds. We did an analysis early on in  
10 the investigation and compared our gross alpha  
11 numbers to our uranium and thorium numbers,  
12 because plutonium is an alpha emitter. So there  
13 is a large discrepancy between, you know, the  
14 alpha number and the uranium and thorium number,  
15 we sampled for plutonium. So this was done quite  
16 early on in the investigation and so they were  
17 sent to the lab originally for one analysis and  
18 then we used that sample volume at the lab and had  
19 it re-analyzed for plutonium. So I think that  
20 might be why it got inadvertently, you know, was  
21 missing from our data base, but that's where that  
22 came from.

23 MS. WITRYOL: In there -- there are  
24 indications of plutonium. It's not in the  
25 additional 17 analysis that you did?



1 MS. RHODES: We took some quick numbers. We  
2 have a total of 92 samples for plutonium. We had  
3 seven detects total.

4 MS. WITRYOL: And how many soil samples, how  
5 many soil samples out of the 92?

6 MS. RHODES: 78, and the detects ranged from  
7 .08 per gram to 5.72. When we looked at that 5.72  
8 (Inaudible) per gram, just to put that into  
9 perspective, the dose to a subsistence farmer,  
10 which is our most conservative scenario, it would  
11 have been acceptable under that condition, even at  
12 our highest level we find on our site.

13 MS. WITRYOL: But that's above fallout, so  
14 that --

15 MS. RHODES: It's definitely not, it's not an  
16 actual, this is definitely from like a capital  
17 type of waste.

18 MS. KREUSCH: Dr. Boeck, the last question,  
19 then we've got to go.

20 DR. BOECK: Justification for not releasing  
21 this data before sometime in the future.

22 MS. KREUSCH: What was that?

23 MR. BOECK: The justification for not  
24 releasing these numbers and the errata that have  
25 already been found before some indefinite time in

1 the future.

2 MS. RHODES: I just have a -- the answer,  
3 it would either be in a response to comments and  
4 we'd submit a revised RI data base or it would be  
5 part of an RI addendum.

6 DR. BOECK: That doesn't answer the question,  
7 what's your justification for not releasing it  
8 soon?

9 MS. RHODES: Actually to be completely honest  
10 with you, we didn't realize it was missing until  
11 recently. I know that's a really bad answer but  
12 that's the truth.

13 DR. BOECK: Neither did we.

14 MS. KREUSCH: Thank you again everyone for  
15 coming tonight. I do want to re-emphasize that we  
16 appreciate your input. We appreciate you being  
17 here tonight and the team will be able to stay for  
18 just a few minutes to answer any additional  
19 questions if you have one-on-one in the back of  
20 the room by the posters. Thank you.

21 (Meeting concluded,)

Niagara Falls Storage Site Public Information Session

CERTIFICATE

I, RHEET L. BAKER, certify that the foregoing transcript of proceedings in the matter of the Niagara Falls Storage Site Public Information Session, was recorded utilizing a Sony BM\_246, and transcribed from same machine, and is a true and accurate record of the proceedings herein as best we could due to problems with machine.)

Signature\_\_\_\_\_

Associated Reporting Service

Post Office Box 674

229 West Genesee Street

Buffalo, New York 14201-0674

Date: 9/29/08

